

**In The Matter Of:**  
*DNREC*  
*Underground Storage Tanks*

---

*Hearing*  
*August 27, 2019*

---

*Wilcox & Fetzer, Ltd.*  
*1330 King Street*  
*Wilmington, DE 19801*  
*email: [depos@wilfet.com](mailto:depos@wilfet.com), web: [www.wilfet.com](http://www.wilfet.com)*  
*phone: 302-655-0477, fax: 302-655-0497*



DEPARTMENT OF NATURAL RESOURCES & ENVIRONMENTAL CONTROL  
OF THE STATE OF DELAWARE

RE: Proposed Regulatory Amendments to )  
7 Delaware Admin Code 1351, )  
Underground Storage Tanks, )  
Public Hearing )

.. . . . .

DNREC Lukens Drive Office  
391 Lukens Drive  
New Castle, Delaware 19720

Tuesday, August 28, 2019  
6:00 p.m.

.. . . . .

BEFORE: Lisa Vest, Hearing Officer

-- Transcript of Proceedings --

WILCOX & FETZER  
1330 King Street  
Wilmington, DE 19801  
(302) 655-0477  
www.wilfet.com



1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24

TABLE OF CONTENTS

	Page
Introduction by Ms. Vest . . . . .	3
Introduction by the Division . . . . .	9
Public Comments:	
Ellen Valentino with MAPDA . . . . .	26
Conclusory Remarks by Ms. Vest. . . . .	29
Certificate of Reporter . . . . .	31

INDEX TO EXHIBITS

Department Exhibits 1 to 32 - Blue Binder - Page 25



1 MS. VEST: Okay. The time is  
2 6:00 p.m. on Tuesday, August 27, 2019. And I  
3 want to thank everybody for being here.

4 We are here this evening to provide  
5 a formal platform for DNREC to receive public  
6 comment on its proposed regulatory amendments  
7 to 7 Delaware Admin Code 1351, Underground  
8 Storage Tanks.

9 For those of you that do not know  
10 me, my name is Lisa Vest, and Secretary  
11 Garvin has appointed me to serve as the  
12 hearing officer for these proceedings.

13 There are sign-in sheets that are  
14 just outside the door. If you have not  
15 already signed in, I would ask that you do  
16 so.

17 Even if you don't wish to speak, we  
18 do like to keep an accurate record of who  
19 attends these hearings. So thank you in  
20 advance for doing that.

21 I do have a few introductory  
22 remarks that I need to read before we  
23 actually begin the Power Point presentation.

24 With regard to the public comments



1 wishing to be offered tonight, there are some  
2 protocols that I will now read into the  
3 record.

4 Consistent with all hearings held  
5 by DNREC, all comment received must be  
6 limited solely to the subject matter of  
7 tonight's hearing, which again are the  
8 proposed amendments to DNREC's underground  
9 storage tanks, or UST regs.

10 Pursuant to that subject matter,  
11 all comments pertinent to these amendments  
12 will be incorporated into the formal hearing  
13 record being generated.

14 As is DNREC's policy at formal  
15 hearings such as this, each person wishing to  
16 offer comment tonight is asked to do so in as  
17 precise a manner as possible.

18 In order to treat attendees at all  
19 DNREC hearings equally, each person will be  
20 granted a total of three minutes of time in  
21 which to offer their comment.

22 To facilitate that protocol and  
23 also to ensure fairness with regard to the  
24 amount of time each person is allotted, there



1 will be a visual timer in place to help  
2 everybody kind of gauge their comments and be  
3 aware of how much time is left as you are  
4 speaking.

5 If you have brought prepared  
6 written comments or statements with you, I  
7 would ask that you present the same to me  
8 when you have been recognized as the next  
9 commenter, and I can mark them and enter them  
10 into the record at that time.

11 You can then use your three-minute  
12 allotment to offer a brief summary of your  
13 comments as submitted.

14 There will be no yielding of time  
15 from one commenter to another, again to  
16 ensure fairness and equality for each person  
17 offering comment.

18 In order to ensure that everyone  
19 who wishes to offer comment for the  
20 Secretary's consideration is accommodated,  
21 the hearing record will remain open for a  
22 full 15 days following tonight's proceedings,  
23 or through the close of business, which is  
24 4:30 p.m., on Wednesday, September 11, 2019.



1           The hearing record being left open  
2           for receipt of comment through September 11th  
3           will ensure that those who possibly were not  
4           able to physically be in attendance tonight  
5           will still be able to provide written comment  
6           for the record.

7           Additionally, there may be those  
8           who provide comment tonight and then wish to  
9           supplement the same. That will be possible  
10          as long as it's received within those 15  
11          days.

12          There is only one authentic record  
13          of this formal proceeding tonight, and it is  
14          the official court reporter's verbatim  
15          transcript.

16          Please remember that this  
17          transcript is being created to memorialize  
18          tonight's hearing by the court reporter.

19          She can only hear and accurately  
20          transcribe one voice at a time. So, in order  
21          to ensure that accuracy, I would ask  
22          everybody be mindful of the fact that she can  
23          only take down one speaker at a time, and  
24          please do not speak while another person is



1 speaking.

2 If there are members of the news  
3 media and others here, they are not  
4 prohibited from audio or video recording of  
5 these events. We do ask that any equipment  
6 used in that fashion be done in a way that is  
7 unobtrusive and does not interfere with the  
8 ability of others to see and hear.

9 Whether listening or speaking, we  
10 ask that everyone here tonight be respectful  
11 and considerate of all comment offered, even  
12 though some comment may differ from your own.

13 Additionally, at this time I would  
14 ask that all cell phones be either muted or  
15 turned off for the balance of tonight's  
16 proceeding.

17 The statutory purpose of the  
18 hearing tonight is to provide a platform to  
19 allow citizens to offer comment on these  
20 proposed amendments to Delaware's Underground  
21 Storage Tank Regulations.

22 A record consisting of the  
23 transcript of verbal comments given tonight,  
24 along with all written comments received, all





1 exhibits that are entered into the record,  
2 and eventually my Hearing Officer's Report,  
3 will all be provided to Secretary Garvin.

4 The Secretary will review the  
5 record in its entirety and ultimately issue  
6 an order following that review. The order  
7 will contain his decision and the reasons  
8 therefore.

9 Myself and other DNREC staff  
10 members are present to facilitate receipt of  
11 public comment but not to participate in the  
12 proceedings.

13 There will be no Q and A session  
14 permitted during the course of tonight's  
15 hearing.

16 Lastly, it is important to note  
17 that no decision has been made by the  
18 Department in this matter, nor will any  
19 decision be made tonight with regard to these  
20 proposed amendments.

21 Again, we are merely here to  
22 receive comment, should any wish to be  
23 offered.

24 Comments may be submitted through a



1 comment form link on our hearing page via  
2 email to DNRECHearingComments@delaware.gov or  
3 via the U.S. Postal Service at the address  
4 indicated on the hearing page -- and probably  
5 on your presentation that we are giving?

6 MS. BUTLER: Yes.

7 MS. VEST: Written comment to DNREC  
8 may not be submitted using social media  
9 platforms such as Twitter, Facebook, You  
10 Tube, or any other text messaging service.

11 Lastly, it is important to note  
12 that all comment, whether offered verbally  
13 tonight at the hearing or received via  
14 electronic mechanisms that I just spoke of,  
15 as long as it's received within the time  
16 period that the public comment -- that the  
17 comment period is open, it will all bear the  
18 same weight, and it will all be considered  
19 equally by the Secretary prior to his making  
20 a final decision in this matter.

21 That being said, I am going to turn  
22 the platform over to Department staff for  
23 their presentation.

24 MS. BUTLER: Thank you, Lisa.



1                   Good evening, and welcome to the  
2                   Division of Waste and Hazardous Substances  
3                   public hearing on Regulation 1351,  
4                   Regulations Governing Underground Storage  
5                   Tank Systems.

6                   My name is Eileen Butler, and I am  
7                   a Senior Planner within the Division of Waste  
8                   and Hazardous Substances.

9                   During this presentation, we will  
10                  review regulatory compliance dates and the  
11                  promulgation schedule, as well as a summary  
12                  of the changes to the regulations.

13                  After my presentation and entry of  
14                  exhibits, the public will have an opportunity  
15                  to provide comment.

16                  During the workshop that took place  
17                  on April 16, 2019, I had indicated that we  
18                  would have a public hearing on the regulatory  
19                  changes during the summer of 2019, with an  
20                  expected promulgation date of November.

21                  We are still on schedule for this  
22                  to occur.

23                  My plan during this presentation is  
24                  to first review the changes to the



1 regulations that are specific to Delaware and  
2 are more stringent than federal requirements  
3 as allowed by the EPA.

4 We will review operator training,  
5 financial responsibility, out of service and  
6 empty requirements, prohibitions, exemptions,  
7 and changes to USTs at marinas.

8 I will also review changes to  
9 routine inspections and hydrostatic testing,  
10 deadlines for compliance regarding non-liquid  
11 tight access structures, and clarity on  
12 requirements for emergency generators.

13 For the first time, we now have a  
14 standard for what constitutes a passing grade  
15 to be certified as a Class A/Class B UST  
16 operator.

17 You must receive a grade of  
18 80 percent or higher to receive  
19 certification.

20 Part F focuses on financial  
21 responsibility, or FR. Owners and operators  
22 are required to obtain a financial mechanism  
23 that will cover costs associated with  
24 compensating third parties for bodily injury



1 and property damage, as well as costs  
2 associated with corrective action or cleanup  
3 costs related to a release.

4 In Delaware, insurance is most  
5 commonly used as the mechanism to comply with  
6 these requirements.

7 We have always required the insured  
8 to notify the Division when an insurance  
9 policy is terminated or not renewed.

10 However, now we are also requiring  
11 the insurance company to do the same.

12 We now require submittal of a  
13 complete insurance policy prior to any  
14 regulated substance placed into the UST  
15 system, as well as an annual submission when  
16 the policy is renewed.

17 Documentation of FR now has to be  
18 maintained for the lifetime of the ownership,  
19 and ultimately should be provided to a new  
20 owner once ownership of the facility has  
21 transferred to that new owner, so there will  
22 be historic documentation of financial  
23 coverage.

24 If an owner or an operator is found



1 to be non-compliant with Part F and does not  
2 have a financial mechanism in place, that  
3 could be cause for both a delivery and  
4 dispensing prohibition.

5 This last subsection, insurance  
6 policy exclusions that we identified as  
7 prohibited, actually has come from the EPA,  
8 and we have included them in our regulations  
9 to be compliant with federal requirements.

10 Should an insurance policy be found  
11 to include these exclusions, the policy will  
12 be identified as non-compliant with the  
13 regulations and will not meet the criteria as  
14 an FR mechanism.

15 Definitions are found in Part A,  
16 Section 2, of these regulations.

17 The definition for out of service  
18 has not changed. It is a status of the tank.  
19 It means the tank is not in use, with no  
20 regulated substance going in or out, but with  
21 the intention for the tank to be put back  
22 into service.

23 An FR mechanism is required for an  
24 out-of-service tank.



1           The definition of empty has also  
2 not changed. However, in the previous  
3 version of the regulations, the definition  
4 was in Part B under the general requirements  
5 for a change in status.

6           And we thought, for clarity and  
7 consistency, it should be included in Part A,  
8 Section 2, in the definition section.

9           The big difference with  
10 out-of-service tanks is that if a tank is in  
11 the status of out of service for 12 months or  
12 longer, you are no longer required to render  
13 the UST system empty.

14           As you can see, there are a number  
15 of requirements that must be adhered to when  
16 a tank is considered out of service.

17           They include maintaining corrosion  
18 protection and release detection, testing of  
19 the UST system and routine inspections,  
20 as well as financial responsibility.

21           After 12 months, a site assessment  
22 is required to determine if any contamination  
23 exists. The tank can remain in an  
24 out-of-service status as long as the



1 stipulated requirements are adhered to.

2 The big change with empty tanks has  
3 to do with the requirements for a site  
4 assessment.

5 Previously, a site assessment was  
6 not required until a tank was empty for 12  
7 months.

8 But what we have learned is that  
9 insurance companies will not pay for costs  
10 associated with cleanup if the release is not  
11 reported within six months of the terminated  
12 or non-renewed policy.

13 So, to make sure an owner or  
14 operator meet this timing, we now require a  
15 site assessment be done within three months  
16 of a tank being rendered empty.

17 The owner can also remove the tank  
18 or close it in place. If the site assessment  
19 reveals that there is no release, the tank  
20 can remain empty for as long as the owner  
21 determines, as long as vent pipes remain open  
22 and functioning, and pipes, pumps, man ways  
23 and ancillary equipment are capped and  
24 secured, and corrosion protection is





1 maintained.

2 Currently, we have the authority to  
3 implement the delivery prohibition known as  
4 red tagging a facility.

5 However, we clarify as to what  
6 justifies red tagging a facility, and we also  
7 included a dispensing prohibition.

8 Therefore, during an inspection of  
9 the UST system and -- during an inspection of  
10 a UST system where the inspector believes  
11 that one or more of the following conditions  
12 exist at the site, either an imminent threat  
13 to the environment or to the public, or if  
14 there is a lack of overfill prevention or  
15 release detection, or if the owner is not in  
16 compliance with an ongoing indicated release  
17 investigation, or if there is no financial  
18 responsibility mechanism for the facility,  
19 the Division then can implement an immediate  
20 delivery and dispensing prohibition for that  
21 facility.

22 The definition for "imminent  
23 threat" has not changed, but you will find it  
24 in Part A, Section 2, where previously it was



1 only identified in part E dealing with  
2 release investigations and remedial actions.

3 Delivery prohibition tags will  
4 continue to be affixed on the fill pipe, and  
5 the dispensing prohibition tag will be  
6 affixed to the dispenser.

7 Part A, Section 14, is a new  
8 section that affords relief from the 1'8-inch  
9 per slope requirement (one/8-inch per foot  
10 slope requirements) if a owner choose to say  
11 pursue this exemption, there are a number of  
12 criteria that must be adhered to for the  
13 exemption to be granted.

14 The product piping is pressurized,  
15 containment sumps will be affixed with  
16 sensors. An annual line tightness test is  
17 required. Sump jumper tubes will be removed  
18 and pod piping test boots pulled back.

19 Continuous interstitial monitoring  
20 will be implemented. And no product piping  
21 already been installed with negative slope  
22 toward dispenser sumps.

23 The current regulations identify  
24 the use of N F P A 30 A as the standard for



1 U.S. T systems at marinas with the  
2 prohibition of nozzle hold-open classify  
3 devices, shut-off valves, and  
4 automatic-closing dispensing nozzles. These  
5 items are normally checked for compliance  
6 during our three-year inspections. But for  
7 newly installed or any retrofit U.S. T  
8 systems at marinas, the vision will be  
9 requiring compliance with P E I R P 1,000  
10 standards, which include U V protection for  
11 exposed piping, incorporation of shut-off  
12 valves, and auto shut off nozzles, as well as  
13 the use of marine compatible materials.

14 We have established an exemption to  
15 the 30-day routine inspection for containment  
16 sumps. If the owner or operator use  
17 continuous interstitial monitoring, some  
18 sensors, and install product, vent, vapor,  
19 return and Sussex piping with the 1/8" per  
20 foot slope back to the tank, then they can  
21 inspect their containment sump annually.

22 If an owner desires to use a slope  
23 exemption for their pressurized piping, they  
24 will not be permitted to use the 30-day



1 routine inspection exemption.

2 There are no changes to the  
3 post-construction testing with hydrostatic  
4 testing procedures.

5 The changes associated with these  
6 procedures pertain only to the periodic  
7 testing.

8 Instead of being filled to the top,  
9 the sump is now required to be filled to a  
10 minimum of 4 inches above the highest  
11 penetration fitting or sump side wall seam  
12 and held for a minimum of one hour.

13 At no time should the liquid level  
14 be less than 24 inches from the bottom of the  
15 sump.

16 We are prohibiting the use of  
17 non-liquid tight access structures as of  
18 December 31, 2025.

19 And all existing containment sumps  
20 that are non-liquid type shall comply with  
21 this prohibition by December 31, 2025.

22 We are currently crafting a rebate  
23 program that will help with the upgrade costs  
24 associated with these requirements.



1           We have always regulated emergency  
2 generators. However, we have clarified the  
3 regulatory requirements in regard to product  
4 piping slope, line leak detection, and  
5 periodic line testing.

6           There are no new requirements in  
7 this section.

8           The slope exemption cannot be used  
9 for emergency generators.

10          This part of the presentation will  
11 review the regulatory changes required to  
12 comply with federal law. We will review  
13 compatibility, overfill prevention, in both  
14 field constructed UST systems and airport  
15 hydrant system USTs.

16          Part A, Section 13, is a new  
17 section that reflects the federal  
18 requirements for demonstrating compatibility  
19 between the tank materials and the regulated  
20 substance stored in it.

21          Federal law requires overfill  
22 prevention equipment to be inspected at a  
23 minimum of once every three years, and the  
24 first inspection has to be completed by



1           October 13, 2021.

2                     In accordance with federal  
3 requirements, Delaware is prohibiting all  
4 vent line flow restrictors, otherwise known  
5 as ball float valves, from being installed  
6 once these regulations are promulgated.

7                     However, in Delaware, existing  
8 restrictors must be removed by October 13,  
9 2021, unless the overfill prevention  
10 equipment achieves partial shutoff of flow at  
11 85 percent full and complete shutoff of flow  
12 at 88 percent full. Then the ball float  
13 valves do not have to be removed.

14                    Part H is all new and mirrors the  
15 federal requirements for field constructed  
16 UST systems.

17                    This part provides information on  
18 upgrades, routine inspection, and release  
19 detection requirements, in addition to  
20 closure requirements to previously removed or  
21 closed-in-place UST systems.

22                    Part I is similar to Part H,  
23 whereby Delaware regulations mirror the  
24 federal requirements for airport hydrant



1 systems.

2 A website has been provided to the  
3 public that offers information on the  
4 existing regulations, the federal  
5 requirements Delaware had to achieve, the  
6 proposed regulations we are discussing  
7 tonight, and a list of standards the Division  
8 has used in preparing the regulations.

9 We also created a chart of  
10 amendments, mostly clerical errors, that  
11 identify changes to the proposed regulations.

12 I would like to review with you a  
13 few of the more substantive changes that have  
14 occurred since the printing of the August 1  
15 Register of Regulations.

16 As identified in the sections in  
17 Part B, C, and D for overfill prevention  
18 requirements, the Register of Regulations  
19 accurately printed our proposed change to the  
20 regulation with regard to the removal of ball  
21 float valves.

22 We originally indicated that they  
23 would be removed three years after  
24 promulgation of the regulations.



1                   However, upon further  
2                   consideration, we have decided to change that  
3                   language to read as follows: "Existing vent  
4                   line flow restrictors (ball float valves)  
5                   shall be removed no later than October 13,  
6                   2021, unless the following condition exists:"

7                   The reason for this is because we  
8                   wanted to be coordinated with the federal  
9                   requirements for overfill prevention  
10                  inspections.

11                  The Register of Regulations printed  
12                  Part B, Subsection 2.27.1, as you see it here  
13                  on the slide.

14                  However, the Register should have  
15                  actually printed Part B, Subsection 2.27.1 as  
16                  this slide reads, with the first sentence  
17                  struck out in its entirety.

18                  Similarly, the Register printed  
19                  Part B, Subsection 2.30.4.1.7 with no changes  
20                  to the subsection. But, in actuality, we had  
21                  sent the proposed regulation with the  
22                  following changes to the current regulation  
23                  on manual tank gauging procedures for used  
24                  oil UST systems.





1                   It should have read as follows:  
2           "Owners and operators shall keep all manual  
3           tank gauging records utilized to comply with  
4           release detection requirements on file for  
5           three years and shall make the records  
6           available to the Department within 14 days of  
7           the Department's request."

8                   So the big difference here is that  
9           the owner no longer has to maintain manual  
10          tank gauging records used for release  
11          detection for the life of the US T system,  
12          but, rather, only for three years.

13                  And the owner or operator now has  
14          14 days to provide those records instead of  
15          ten days.

16                  So this concludes the Division of  
17          Waste and Hazardous Substance's presentation.

18                  At this time I would like to enter  
19          into the record a book of 32 exhibits with an  
20          index sheet describing each exhibit.

21                  MS. VEST:   That's fine.

22                  MS. BUTLER:  Do I hand it to you?

23                  MS. VEST:  If you could.  And while  
24          staff is walking over here, let the record



1 reflect that the Department's exhibits, as  
2 identified just now by Ms. Butler, in a blue  
3 notebook with an index sheet or, slash, table  
4 of contents explaining each exhibit is hereby  
5 entered into the formal hearing record and  
6 marked as such as Department's Exhibits 1  
7 through 32.

8 Does that conclude the Department's  
9 remarks at this time?

10 MS. BUTLER: Yes.

11 MS. VEST: Okay. Thank you,  
12 Eileen.

13 I need to see the sign-in sheets.

14 At this point -- and I should make  
15 a little bookkeeping note. We do have a web  
16 page that's totally dedicated to this  
17 regulatory promulgation.

18 Even though it's 32 exhibits, that,  
19 along with anything that might get submitted  
20 in the form of written comments or statements  
21 today, all of that will be posted on our  
22 hearing web page by the close of business  
23 tomorrow.

24 At this point let me check it out.



1           There is names on the sign-in sheet, but  
2           nobody indicated a desire to speak, unless  
3           that's what the blank means.

4                        So I will just ask you to stand up  
5           and say your name for the benefit of the  
6           court reporter.

7                        And Eileen, you have got this. So  
8           proceed.

9                        MS. VALENTINO: Thank you. Ellen  
10          Valentino. I'm here today on behalf of the  
11          Mid-Atlantic Petroleum Distributors. And I  
12          do wish to make a public comment.

13                       MS. VEST: Absolutely.

14                       MS. VALENTINO: Thank you.

15                       First of all, MAPDA, Mid-Atlantic  
16          Petroleum Distributors, would like to thank  
17          DNREC and the workgroup.

18                       We are very pleased with a lot of  
19          the progress we were able to make and the  
20          dialogue that took place back and forth  
21          between the Department and our industry over  
22          a series of meetings.

23                       We continue to have two concerns  
24          with the proposed regulation, and I will



1 submit these in writing.

2 I am going to start, given the time  
3 frame, with one that is -- I will outline the  
4 two major concerns. One contends to be with  
5 the slope requirement.

6 The second is that the Department  
7 does not recognize an alternative testing  
8 program that EPA does.

9 So I'm just going to start with  
10 that concern.

11 MS. VEST: Sure.

12 MS. VALENTINO: The EPA has  
13 recognized a low-level liquid alternative  
14 integrity testing measurement for sumps and  
15 secondary containment.

16 We had brought this to the  
17 Department's attention. They do recognize  
18 that EPA recognizes this alternative test,  
19 but the Department indicates that they have  
20 the authority to regulate above and beyond  
21 federal requirements as they see fit for the  
22 good of Delaware.

23 We object to that. And, more  
24 importantly, we ask for reconsideration.



1           The Department has a requirement  
2           under Delaware law to conduct a regulatory  
3           flexibility analysis to consider the  
4           applicability, lawful, feasibility of desire  
5           of methods that would reduce additional costs  
6           and burdens on proposed regulations to the  
7           business owner.

8           We think that we haven't seen a  
9           proper analysis with respect to that, and we  
10          think it's important.

11          Additionally, we believe that there  
12          needs to be a fiscal impact statement  
13          associated with these proposed regulations  
14          and the cost burden that will be placed on  
15          small business.

16          So, again, just to reiterate, we  
17          think the Department should recognize the EPA  
18          alternative testing. They choose not to  
19          recognize it. Their requirement is more  
20          costly, more stringent, and we think that we  
21          need to see a fiscal impact analysis on that  
22          specific reason and a rationale.

23          The other issue deals with the  
24          requirements to have 1/8" slope in the



1 exemptions the Department makes.

2 You know, submersible pump  
3 containment slopes are permitted to be  
4 inspected every 12 months instead of every 30  
5 days. And they put a list of conditions with  
6 respect to how you can move forward.

7 We think that these conditions  
8 are -- should not be required, and we think  
9 it is a burden, because people who don't meet  
10 those conditions will then have to not be  
11 entitled to the one annual inspection; they  
12 will have to be inspected every 30 days.

13 MS. VEST: Okay.

14 MS. VALENTINO: So, again, those  
15 are the two specific ones that we point out.

16 With that said, we do want to  
17 really commend the Department on ongoing  
18 dialogue that we think has come a long way.

19 We will submit these in writing,  
20 and we hope and look forward to seeing the  
21 fiscal impact analysis.

22 MS. VEST: Thank you,  
23 Ms. Valentino. Anyone else? Okay.

24 Let the record reflect that at this



1 time there are no additional comments wishing  
2 to be offered. As I said previously, the  
3 record will remain open through close of  
4 business on -- I believe it's a Wednesday --  
5 September 11, 2019.

6 MS. BUTLER: Yes.

7 MS. VEST: There is a hearing web  
8 page. And, ma'am, if you go to that, there  
9 are links that will take you right to the  
10 comment section.

11 And you can either choose to offer  
12 comment electronically through that portal or  
13 through USPS mail, however you wish to do  
14 that.

15 That being said, since there are no  
16 additional comments wishing to be offered,  
17 I'm going to go ahead and conclude these  
18 proceedings at this time.

19 Thank you all for attending. This  
20 meeting is adjourned.

21 (Concluded at 6:31 p.m.)  
22  
23  
24



1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
CERTIFICATE

I, Lorena J. Hartnett, a Notary Public and Registered Professional Reporter, do hereby certify that the foregoing is an accurate and complete transcription of the proceeding held at the time and place stated herein, and that the said proceeding was recorded by me and then reduced to typewriting under my direction, and constitutes a true record of the testimony given by said witnesses.

I further certify that I am not a relative, employee, or attorney of any of the parties or a relative or employee of either counsel, and that I am in no way interested directly or indirectly in this action.

IN WITNESS WHEREOF, I have hereunto set my hand and affixed my seal of office on this 28th day of August 2019.



---

Lorena J. Hartnett  
Registered Professional Reporter





<b>A</b>	28:5 30:1,16 <b>Additionally (3)</b>	14:1 15:17 16:6 22:9 <b>alternative (4)</b>	4:18 <b>attending (1)</b>
<b>A/Class (1)</b>	6:7 7:13 28:11 <b>address (1)</b>	27:7,13,18 28:18 <b>always (2)</b>	30:19 <b>attends (1)</b>
11:15 <b>ability (1)</b>	9:3 <b>adhered (3)</b>	12:7 20:1 <b>amendments (6)</b>	3:19 <b>attention (1)</b>
7:8 <b>able (3)</b>	14:15 15:1 17:12 <b>adjourned (1)</b>	3:6 4:8,11 7:20 <b>amount (1)</b>	27:17 <b>audio (1)</b>
6:4,5 26:19 <b>above (2)</b>	30:20 <b>Admin (1)</b>	8:20 22:10 <b>analysis (4)</b>	7:4 <b>August (2)</b>
19:10 27:20 <b>Absolutely (1)</b>	3:7 <b>advance (1)</b>	4:24 <b>ancillary (1)</b>	3:2 22:14 <b>authentic (1)</b>
26:13 <b>access (2)</b>	3:20 <b>affixed (3)</b>	28:3,9,21 29:21 <b>annual (3)</b>	6:12 <b>authority (2)</b>
11:11 19:17 <b>accommodated (1)</b>	17:4,6,15 <b>affords (1)</b>	15:23 <b>annually (1)</b>	16:2 27:20 <b>auto (1)</b>
5:20 <b>accordance (1)</b>	17:8 <b>After (3)</b>	12:15 17:16 29:11 <b>another (2)</b>	18:12 <b>automatic-closing (1)</b>
21:2 <b>accuracy (1)</b>	10:13 14:21 22:23 <b>again (5)</b>	18:21 <b>Anyone (1)</b>	18:4 <b>available (1)</b>
6:21 <b>accurate (1)</b>	4:7 5:15 8:21 28:16 <b>ahead (1)</b>	5:15 6:24 <b>anything (1)</b>	24:6 <b>aware (1)</b>
3:18 <b>accurately (2)</b>	29:14 <b>airport (2)</b>	29:23 <b>applicability (1)</b>	5:3
6:19 22:19 <b>achieve (1)</b>	30:17 <b>allotment (1)</b>	25:19 <b>appointed (1)</b>	<b>B</b>
22:5 <b>achieves (1)</b>	20:14 21:24 <b>allotted (1)</b>	28:4 <b>April (1)</b>	<b>back (4)</b>
21:10 <b>action (1)</b>	5:12 <b>allow (1)</b>	3:11 <b>asked (1)</b>	13:21 17:18 18:20
12:2 <b>actions (1)</b>	4:24 <b>allowed (1)</b>	10:17 <b>assessment (5)</b>	26:20
17:2 <b>actuality (1)</b>	7:19 <b>along (2)</b>	4:16 <b>associated (6)</b>	<b>balance (1)</b>
23:20 <b>actually (3)</b>	7:24 25:19 <b>already (2)</b>	14:21 15:4,5,15,18 <b>attendance (1)</b>	7:15
3:23 13:7 23:15 <b>addition (1)</b>	3:15 17:21 <b>also (7)</b>	11:23 12:2 15:10 <b>attendees (1)</b>	<b>ball (4)</b>
21:19 <b>additional (3)</b>	4:23 11:8 12:10	19:5,24 28:13	21:5,12 22:20 23:4
		6:4	<b>bear (1)</b>
			9:17
			<b>before (1)</b>
			3:22
			<b>begin (1)</b>
			3:23
			<b>behalf (1)</b>

26:10	28:6	7:19	<b>commonly (1)</b>	
<b>being (9)</b>	<b>business (5)</b>	<b>clarified (1)</b>	12:5	
3:3 4:13 6:1,17	5:23 25:22 28:7,15	20:2	<b>companies (1)</b>	
9:21 15:16 19:8 21:5	30:4	<b>clarify (1)</b>	15:9	
30:15	<b>BUTLER (7)</b>	16:5	<b>company (1)</b>	
<b>believe (2)</b>	9:6,24 10:6 24:22	<b>clarity (2)</b>	12:11	
28:11 30:4	25:2,10 30:6	11:11 14:6	<b>compatibility (2)</b>	
<b>believes (1)</b>	<b>C</b>	<b>Class (1)</b>	20:13,18	
16:10		11:15	<b>compatible (1)</b>	
<b>benefit (1)</b>	<b>cannot (1)</b> 20:8 <b>capped (1)</b> 15:23 <b>cause (1)</b> 13:3 <b>cell (1)</b> 7:14 <b>certification (1)</b> 11:19 <b>certified (1)</b> 11:15 <b>change (4)</b> 14:5 15:2 22:19 23:2 <b>changed (3)</b> 13:18 14:2 16:23 <b>changes (12)</b> 10:12,19,24 11:7,8 19:2,5 20:11 22:11,13 23:19,22 <b>chart (1)</b> 22:9 <b>check (1)</b> 25:24 <b>checked (1)</b> 18:5 <b>choose (3)</b> 17:10 28:18 30:11 <b>citizens (1)</b>	<b>classify (1)</b>	18:13	
26:5		<b>cleanup (2)</b>	12:2 15:10	<b>compensating (1)</b>
<b>between (2)</b>		12:2 15:10	<b>clerical (1)</b>	11:24
20:19 26:21		<b>close (4)</b>	22:10	<b>complete (2)</b>
<b>beyond (1)</b>		5:23 15:18 25:22	<b>close (4)</b>	12:13 21:11
27:20		30:3	<b>closed-in-place (1)</b>	<b>completed (1)</b>
<b>big (3)</b>		<b>closure (1)</b>	21:21	20:24
14:9 15:2 24:8		21:20	<b>Code (1)</b>	<b>compliance (5)</b>
<b>blank (1)</b>		<b>Code (1)</b>	3:7	10:10 11:10 16:16
26:3		<b>come (2)</b>	<b>Code (1)</b>	18:5,9
<b>blue (1)</b>		13:7 29:18	<b>Code (1)</b>	<b>compliant (1)</b>
25:2		<b>commend (1)</b>	3:7	13:9
<b>bodily (1)</b>		29:17	<b>Code (1)</b>	<b>comply (4)</b>
11:24		<b>comment (23)</b>	3:7	12:5 19:20 20:12
<b>book (1)</b>		3:6 4:5,16,21 5:17,	<b>Code (1)</b>	24:3
24:19		19 6:2,5,8 7:11,12,19	<b>Code (1)</b>	<b>concern (1)</b>
<b>bookkeeping (1)</b>		8:11,22 9:1,7,12,16,	<b>Code (1)</b>	27:10
25:15		17 10:15 26:12 30:10,	<b>Code (1)</b>	<b>concerns (2)</b>
<b>boots (1)</b>		12	<b>Code (1)</b>	26:23 27:4
17:18		<b>commenter (2)</b>	<b>Code (1)</b>	<b>conclude (2)</b>
<b>both (2)</b>		5:9,15	<b>Code (1)</b>	25:8 30:17
13:3 20:13	<b>comments (11)</b>	<b>Code (1)</b>	<b>Concluded (1)</b>	
<b>bottom (1)</b>	3:24 4:11 5:2,6,13	<b>Code (1)</b>	30:21	
19:14	7:23,24 8:24 25:20	<b>Code (1)</b>	<b>concludes (1)</b>	
<b>brief (1)</b>	30:1,16	<b>Code (1)</b>	24:16	
5:12		<b>Code (1)</b>	<b>condition (1)</b>	
<b>brought (2)</b>		<b>Code (1)</b>	23:6	
5:5 27:16		<b>Code (1)</b>	<b>conditions (4)</b>	
<b>burden (2)</b>		<b>Code (1)</b>	16:11 29:5,7,10	
28:14 29:9		<b>Code (1)</b>	<b>conduct (1)</b>	
<b>burdens (1)</b>		<b>Code (1)</b>	28:2	

<b>consider (1)</b> 28:3	28:14	<b>dealing (1)</b> 17:1	21:19 24:4,11
<b>considerate (1)</b> 7:11	<b>costly (1)</b> 28:20	<b>deals (1)</b> 28:23	<b>determine (1)</b> 14:22
<b>consideration (2)</b> 5:20 23:2	11:23 12:1,3 15:9 19:23 28:5	<b>December (2)</b> 19:18,21	<b>determines (1)</b> 15:21
<b>considered (2)</b> 9:18 14:16	<b>could (2)</b> 13:3 24:23	<b>decided (1)</b> 23:2	<b>devices (1)</b> 18:3
<b>consistency (1)</b> 14:7	<b>course (1)</b> 8:14	<b>decision (4)</b> 8:7,17,19 9:20	<b>dialogue (2)</b> 26:20 29:18
<b>Consistent (1)</b> 4:4	<b>court (3)</b> 6:14,18 26:6	<b>dedicated (1)</b> 25:16	<b>differ (1)</b> 7:12
<b>consisting (1)</b> 7:22	<b>cover (1)</b> 11:23	<b>definition (5)</b> 13:17 14:1,3,8 16:22	<b>difference (2)</b> 14:9 24:8
<b>constitutes (1)</b> 11:14	<b>coverage (1)</b> 12:23	<b>Definitions (1)</b> 13:15	<b>discussing (1)</b> 22:6
<b>constructed (2)</b> 20:14 21:15	<b>crafting (1)</b> 19:22	<b>Delaware (9)</b> 3:7 11:1 12:4 21:3, 7,23 22:5 27:22 28:2	<b>dispenser (2)</b> 17:6,22
<b>contain (1)</b> 8:7	<b>created (2)</b> 6:17 22:9	<b>Delaware's (1)</b> 7:20	<b>dispensing (5)</b> 13:4 16:7,20 17:5 18:4
<b>containment (6)</b> 17:15 18:15,21 19:19 27:15 29:3	<b>criteria (2)</b> 13:13 17:12	<b>delivery (4)</b> 13:3 16:3,20 17:3	<b>Distributors (2)</b> 26:11,16
<b>contamination (1)</b> 14:22	<b>current (2)</b> 17:23 23:22	<b>demonstrating (1)</b> 20:18	<b>Division (6)</b> 10:2,7 12:8 16:19 22:7 24:16
<b>contends (1)</b> 27:4	<b>Currently (2)</b> 16:2 19:22	<b>Department (10)</b> 8:18 9:22 24:6 26:21 27:6,19 28:1,17 29:1,17	<b>DNREC (6)</b> 3:5 4:5,19 8:9 9:7 26:17 DNRECHearingComments@delawaregov (1) 9:2
<b>contents (1)</b> 25:4	<b>D</b>	<b>Department's (5)</b> 24:7 25:1,6,8 27:17	<b>DNREC's (2)</b> 4:8,14
<b>continue (2)</b> 17:4 26:23	<b>damage (1)</b> 12:1	<b>describing (1)</b> 24:20	<b>Documentation (2)</b> 12:17,22
<b>Continuous (2)</b> 17:19 18:17	<b>date (1)</b> 10:20	<b>desire (2)</b> 26:2 28:4	<b>done (2)</b> 7:6 15:15
<b>coordinated (1)</b> 23:8	<b>dates (1)</b> 10:10	<b>desires (1)</b> 18:22	<b>door (1)</b> 3:14
<b>corrective (1)</b> 12:2	<b>days (7)</b> 5:22 6:11 24:6,14, 15 29:5,12	<b>detection (6)</b> 14:18 16:15 20:4	<b>down (1)</b> 6:23
<b>corrosion (2)</b> 14:17 15:24	<b>deadlines (1)</b> 11:10		
<b>cost (1)</b>			

<p><b>during (8)</b> 8:14 10:9,16,19,23 16:8,9 18:6</p>	<p><b>environment (1)</b> 16:13</p>	<p>8:1 10:14 24:19 25:1,6,18</p>	<p><b>file (1)</b> 24:4</p>
<p><b>E</b></p>	<p><b>EPA (6)</b> 11:3 13:7 27:8,12, 18 28:17</p>	<p><b>exist (1)</b> 16:12</p>	<p><b>fill (1)</b> 17:4</p>
<p><b>each (6)</b> 4:15,19,24 5:16 24:20 25:4</p>	<p><b>equality (1)</b> 5:16</p>	<p><b>existing (4)</b> 19:19 21:7 22:4 23:3</p>	<p><b>filled (2)</b> 19:8,9</p>
<p><b>Eileen (3)</b> 10:6 25:12 26:7</p>	<p><b>equally (2)</b> 4:19 9:19</p>	<p><b>exists (2)</b> 14:23 23:6</p>	<p><b>final (1)</b> 9:20</p>
<p><b>either (3)</b> 7:14 16:12 30:11</p>	<p><b>equipment (4)</b> 7:5 15:23 20:22 21:10</p>	<p><b>expected (1)</b> 10:20</p>	<p><b>financial (7)</b> 11:5,20,22 12:22 13:2 14:20 16:17</p>
<p><b>electronic (1)</b> 9:14</p>	<p><b>errors (1)</b> 22:10</p>	<p><b>explaining (1)</b> 25:4</p>	<p><b>find (1)</b> 16:23</p>
<p><b>electronically (1)</b> 30:12</p>	<p><b>established (1)</b> 18:14</p>	<p><b>exposed (1)</b> 18:11</p>	<p><b>fine (1)</b> 24:21</p>
<p><b>Ellen (1)</b> 26:9</p>	<p><b>Even (3)</b> 3:17 7:11 25:18</p>	<p><b>F</b></p>	<p><b>first (5)</b> 10:24 11:13 20:24 23:16 26:15</p>
<p><b>else (1)</b> 29:23</p>	<p><b>evening (2)</b> 3:4 10:1</p>	<p><b>Facebook (1)</b> 9:9</p>	<p><b>fiscal (3)</b> 28:12,21 29:21</p>
<p><b>email (1)</b> 9:2</p>	<p><b>events (1)</b> 7:5</p>	<p><b>facilitate (2)</b> 4:22 8:10</p>	<p><b>fit (1)</b> 27:21</p>
<p><b>emergency (3)</b> 11:12 20:1,9</p>	<p><b>eventually (1)</b> 8:2</p>	<p><b>facility (5)</b> 12:20 16:4,6,18,21</p>	<p><b>fitting (1)</b> 19:11</p>
<p><b>empty (7)</b> 11:6 14:1,13 15:2,6, 16,20</p>	<p><b>every (4)</b> 20:23 29:4,4,12</p>	<p><b>fact (1)</b> 6:22</p>	<p><b>flexibility (1)</b> 28:3</p>
<p><b>ensure (5)</b> 4:23 5:16,18 6:3,21</p>	<p><b>everybody (3)</b> 3:3 5:2 6:22</p>	<p><b>fairness (2)</b> 4:23 5:16</p>	<p><b>float (4)</b> 21:5,12 22:21 23:4</p>
<p><b>enter (2)</b> 5:9 24:18</p>	<p><b>everyone (2)</b> 5:18 7:10</p>	<p><b>fashion (1)</b> 7:6</p>	<p><b>flow (4)</b> 21:4,10,11 23:4</p>
<p><b>entered (2)</b> 8:1 25:5</p>	<p><b>exclusions (2)</b> 13:6,11</p>	<p><b>feasibility (1)</b> 28:4</p>	<p><b>focuses (1)</b> 11:20</p>
<p><b>entirety (2)</b> 8:5 23:17</p>	<p><b>exemption (6)</b> 17:11,13 18:14,23 19:1 20:8</p>	<p><b>federal (11)</b> 11:2 13:9 20:12,17, 21 21:2,15,24 22:4 23:8 27:21</p>	<p><b>following (5)</b> 5:22 8:6 16:11 23:6, 22</p>
<p><b>entitled (1)</b> 29:11</p>	<p><b>exemptions (2)</b> 11:6 29:1</p>	<p><b>few (2)</b> 3:21 22:13</p>	<p><b>follows (2)</b> 23:3 24:1</p>
<p><b>entry (1)</b> 10:13</p>	<p><b>exhibit (2)</b> 24:20 25:4</p>	<p><b>field (2)</b> 20:14 21:15</p>	<p><b>foot (2)</b> 17:9 18:20</p>
	<p><b>exhibits (6)</b></p>		<p><b>form (2)</b></p>

9:1 25:20	<b>going (5)</b>	18:2	13:8 14:7 16:7
<b>formal (5)</b>	9:21 13:20 27:2,9	<b>hope (1)</b>	<b>incorporated (1)</b>
3:5 4:12,14 6:13	30:17	29:20	4:12
25:5	<b>Good (2)</b>	<b>hour (1)</b>	<b>incorporation (1)</b>
<b>forth (1)</b>	10:1 27:22	19:12	18:11
26:20	<b>Governing (1)</b>	<b>However (8)</b>	<b>index (2)</b>
<b>forward (2)</b>	10:4	12:10 14:2 16:5	24:20 25:3
29:6,20	<b>grade (2)</b>	20:2 21:7 23:1,14	<b>indicated (5)</b>
<b>found (3)</b>	11:14,17	30:13	9:4 10:17 16:16
12:24 13:10,15	<b>granted (2)</b>	<b>hydrant (2)</b>	22:22 26:2
<b>FR (4)</b>	4:20 17:13	20:15 21:24	<b>indicates (1)</b>
11:21 12:17 13:14, 23	<b>H</b>	<b>hydrostatic (2)</b>	27:19
<b>frame (1)</b>		11:9 19:3	<b>industry (1)</b>
27:3	<b>hand (1)</b>	<b>I</b>	26:21
<b>full (3)</b>	24:22		<b>information (2)</b>
5:22 21:11,12	<b>Hazardous (3)</b>	<b>identified (5)</b>	21:17 22:3
<b>functioning (1)</b>	10:2,8 24:17	13:6,12 17:1 22:16	<b>injury (1)</b>
15:22	<b>hear (2)</b>	25:2	11:24
<b>further (1)</b>	6:19 7:8	<b>identify (2)</b>	<b>inspect (1)</b>
23:1	<b>hearing (17)</b>	17:23 22:11	18:21
<b>G</b>	3:12 4:7,12 5:21	<b>immediate (1)</b>	<b>inspected (3)</b>
	6:1,18 7:18 8:2,15 9:1, 4,13 10:3,18 25:5,22	16:19	20:22 29:4,12
	30:7	<b>imminent (2)</b>	<b>inspection (7)</b>
<b>Garvin (2)</b>	<b>hearings (4)</b>	16:12,22	16:8,9 18:15 19:1 20:24 21:18 29:11
3:11 8:3	3:19 4:4,15,19	<b>impact (3)</b>	<b>inspections (4)</b>
<b>gauge (1)</b>	<b>held (2)</b>	28:12,21 29:21	11:9 14:19 18:6 23:10
5:2	4:4 19:12	16:3,19	<b>inspector (1)</b>
<b>gauging (3)</b>	<b>help (2)</b>	<b>implemented (1)</b>	16:10
23:23 24:3,10	5:1 19:23	17:20	<b>install (1)</b>
<b>general (1)</b>	<b>hereby (1)</b>	<b>important (3)</b>	18:18
14:4	25:4	8:16 9:11 28:10	<b>installed (3)</b>
<b>generated (1)</b>	<b>higher (1)</b>	<b>importantly (1)</b>	17:21 18:7 21:5
4:13	11:18	27:24	<b>Instead (3)</b>
<b>generators (3)</b>	<b>highest (1)</b>	<b>inches (2)</b>	19:8 24:14 29:4
11:12 20:2,9	19:10	<b>include (3)</b>	<b>insurance (7)</b>
<b>given (2)</b>	<b>historic (1)</b>	13:11 14:17 18:10	12:4,8,11,13 13:5, 10 15:9
7:23 27:2	12:22	<b>included (3)</b>	<b>insured (1)</b>
<b>giving (1)</b>	<b>hold-open (1)</b>		
9:5			

12:7	<b>language (1)</b>	22:7 29:5	<b>man (1)</b>
<b>integrity (1)</b>	23:3	<b>listening (1)</b>	15:22
27:14	<b>last (1)</b>	7:9	<b>manner (1)</b>
<b>intention (1)</b>	13:5	<b>little (1)</b>	4:17
13:21	<b>Lastly (2)</b>	25:15	<b>manual (3)</b>
<b>interfere (1)</b>	8:16 9:11	<b>long (6)</b>	23:23 24:2,9
7:7	<b>later (1)</b>	6:10 9:15 14:24	<b>MAPDA (1)</b>
<b>interstitial (2)</b>	23:5	15:20,21 29:18	26:15
17:19 18:17	<b>law (3)</b>	<b>longer (3)</b>	<b>marinas (3)</b>
<b>introductory (1)</b>	20:12,21 28:2	14:12,12 24:9	11:7 18:1,8
3:21	<b>lawful (1)</b>	<b>look (1)</b>	<b>marine (1)</b>
<b>investigation (1)</b>	28:4	29:20	18:13
16:17	<b>leak (1)</b>	<b>lot (1)</b>	<b>mark (1)</b>
<b>investigations (1)</b>	20:4	26:18	5:9
17:2	<b>learned (1)</b>	<b>low-level (1)</b>	<b>marked (1)</b>
<b>issue (2)</b>	15:8	27:13	25:6
8:5 28:23	<b>left (2)</b>		<b>materials (2)</b>
<b>items (1)</b>	5:3 6:1	<b>M</b>	18:13 20:19
18:5	<b>less (1)</b>		<b>matter (4)</b>
<b>J</b>	19:14	<b>ma'am (1)</b>	4:6,10 8:18 9:20
	<b>level (1)</b>	30:8	<b>may (4)</b>
	19:13	<b>made (2)</b>	6:7 7:12 8:24 9:8
<b>jumper (1)</b>	<b>life (1)</b>	8:17,19	<b>means (2)</b>
17:17	24:11	<b>mail (1)</b>	13:19 26:3
<b>justifies (1)</b>	<b>lifetime (1)</b>	30:13	<b>measurement (1)</b>
16:6	12:18	<b>maintain (1)</b>	27:14
<b>K</b>	<b>limited (1)</b>	24:9	<b>mechanism (6)</b>
	4:6	<b>maintained (2)</b>	11:22 12:5 13:2,14,
	<b>line (5)</b>	12:18 16:1	23 16:18
<b>keep (2)</b>	17:16 20:4,5 21:4	<b>maintaining (1)</b>	<b>mechanisms (1)</b>
3:18 24:2	23:4	14:17	9:14
<b>kind (1)</b>	<b>link (1)</b>	<b>major (1)</b>	<b>media (2)</b>
5:2	9:1	27:4	7:3 9:8
<b>known (2)</b>	<b>links (1)</b>	<b>make (5)</b>	<b>meet (3)</b>
16:3 21:4	30:9	15:13 24:5 25:14	13:13 15:14 29:9
<b>L</b>	<b>liquid (2)</b>	26:12,19	<b>meeting (1)</b>
	19:13 27:13	<b>makes (1)</b>	30:20
<b>lack (1)</b>	<b>Lisa (2)</b>	29:1	<b>meetings (1)</b>
16:14	3:10 9:24	<b>making (1)</b>	26:22
	<b>list (2)</b>	9:19	<b>members (2)</b>

7:2 8:10	4:5 11:17 14:15	<b>note (3)</b>	3:12	
<b>memorialize (1)</b>	17:12 21:8	8:16 9:11 25:15	<b>Officer's (1)</b>	
6:17	<b>muted (1)</b>	<b>notebook (1)</b>	8:2	
<b>merely (1)</b>	7:14	25:3	<b>official (1)</b>	
8:21	<b>Myself (1)</b>	<b>notify (1)</b>	6:14	
<b>messaging (1)</b>	8:9	12:8	<b>oil (1)</b>	
9:10	<b>N</b>	<b>November (1)</b>	23:24	
<b>methods (1)</b>		10:20	<b>once (3)</b>	
28:5	<b>name (3)</b> 3:10 10:6 26:5 <b>names (1)</b> 26:1 <b>need (3)</b> 3:22 25:13 28:21 <b>needs (1)</b> 28:12 <b>negative (1)</b> 17:21 <b>new (6)</b> 12:19,21 17:7 20:6, 16 21:14 <b>newly (1)</b> 18:7 <b>news (1)</b> 7:2 <b>next (1)</b> 5:8 <b>nobody (1)</b> 26:2 <b>non-compliant (2)</b> 13:1,12 <b>non-liquid (3)</b> 11:10 19:17,20 <b>non-renewed (1)</b> 15:12 <b>nor (1)</b> 8:18 <b>normally (1)</b> 18:5	<b>nozzle (1)</b>	12:20 20:23 21:6	
<b>Mid-Atlantic (2)</b>		18:2	<b>nozzles (2)</b>	<b>one (9)</b>
26:11,15		18:4,12	18:4,12	5:15 6:12,20,23
<b>might (1)</b>		26:1	<b>number (2)</b>	16:11 19:12 27:3,4
25:19		<b>need (3)</b>	14:14 17:11	29:11
<b>mindful (1)</b>		3:22 25:13 28:21	<b>O</b>	<b>one/8-inch (1)</b>
6:22		<b>needs (1)</b>		17:9
<b>minimum (3)</b>		28:12	<b>object (1)</b> 27:23 <b>obtain (1)</b> 11:22 <b>occur (1)</b> 10:22 <b>occurred (1)</b> 22:14 <b>October (3)</b> 21:1,8 23:5 <b>off (2)</b> 7:15 18:12 <b>offer (6)</b> 4:16,21 5:12,19 7:19 30:11 <b>offered (6)</b> 4:1 7:11 8:23 9:12 30:2,16 <b>offering (1)</b> 5:17 <b>offers (1)</b> 22:3 <b>officer (1)</b>	<b>ones (1)</b>
19:10,12 20:23		<b>negative (1)</b>		29:15
<b>minutes (1)</b>		17:21		<b>ongoing (2)</b>
4:20		<b>new (6)</b>		16:16 29:17
<b>mirror (1)</b>		12:19,21 17:7 20:6, 16 21:14		<b>only (6)</b>
21:23	<b>newly (1)</b>	6:12,19,23 17:1		
<b>mirrors (1)</b>	18:7	19:6 24:12		
21:14	<b>news (1)</b>	<b>open (5)</b>		
<b>monitoring (2)</b>	7:2	5:21 6:1 9:17 15:21		
17:19 18:17	<b>next (1)</b>	30:3		
<b>months (6)</b>	5:8	<b>operator (6)</b>		
14:11,21 15:7,11, 15 29:4	<b>nobody (1)</b>	11:4,16 12:24		
<b>more (6)</b>	26:2	15:14 18:16 24:13		
11:2 16:11 22:13 27:23 28:19,20	<b>non-compliant (2)</b>	<b>operators (2)</b>		
<b>most (1)</b>	13:1,12	11:21 24:2		
12:4	<b>non-liquid (3)</b>	<b>opportunity (1)</b>		
<b>mostly (1)</b>	11:10 19:17,20	10:14		
22:10	<b>non-renewed (1)</b>	<b>order (5)</b>		
<b>move (1)</b>	15:12	4:18 5:18 6:20 8:6,6		
29:6	<b>nor (1)</b>	<b>originally (1)</b>		
<b>much (1)</b>	8:18	22:22		
5:3	<b>normally (1)</b>	<b>other (3)</b>		
<b>must (5)</b>	18:5	8:9 9:10 28:23		
		<b>others (2)</b>		
		7:3,8		

<p><b>otherwise (1)</b> 21:4</p> <p><b>out (8)</b> 11:5 13:17,20 14:11,16 23:17 25:24 29:15</p> <p><b>outline (1)</b> 27:3</p> <p><b>out-of-service (3)</b> 13:24 14:10,24</p> <p><b>outside (1)</b> 3:14</p> <p><b>over (3)</b> 9:22 24:24 26:21</p> <p><b>overfill (6)</b> 16:14 20:13,21 21:9 22:17 23:9</p> <p><b>own (1)</b> 7:12</p> <p><b>owner (13)</b> 12:20,21,24 15:13, 17,20 16:15 17:10 18:16,22 24:9,13 28:7</p> <p><b>Owners (2)</b> 11:21 24:2</p> <p><b>ownership (2)</b> 12:18,20</p>	<p>8:11</p> <p><b>parties (1)</b> 11:24</p> <p><b>passing (1)</b> 11:14</p> <p><b>pay (1)</b> 15:9</p> <p><b>penetration (1)</b> 19:11</p> <p><b>people (1)</b> 29:9</p> <p><b>per (3)</b> 17:9,9 18:19</p> <p><b>percent (3)</b> 11:18 21:11,12</p> <p><b>period (2)</b> 9:16,17</p> <p><b>periodic (2)</b> 19:6 20:5</p> <p><b>permitted (3)</b> 8:14 18:24 29:3</p> <p><b>person (5)</b> 4:15,19,24 5:16 6:24</p> <p><b>pertain (1)</b> 19:6</p> <p><b>pertinent (1)</b> 4:11</p> <p><b>Petroleum (2)</b> 26:11,16</p> <p><b>phones (1)</b> 7:14</p> <p><b>physically (1)</b> 6:4</p> <p><b>pipe (1)</b> 17:4</p> <p><b>pipes (2)</b> 15:21,22</p> <p><b>pipng (7)</b> 17:14,18,20 18:11,</p>	<p>19,23 20:4</p> <p><b>place (5)</b> 5:1 10:16 13:2 15:18 26:20</p> <p><b>placed (2)</b> 12:14 28:14</p> <p><b>plan (1)</b> 10:23</p> <p><b>Planner (1)</b> 10:7</p> <p><b>platform (3)</b> 3:5 7:18 9:22</p> <p><b>platforms (1)</b> 9:9</p> <p><b>Please (2)</b> 6:16,24</p> <p><b>pleased (1)</b> 26:18</p> <p><b>pm (3)</b> 3:2 5:24 30:21</p> <p><b>pod (1)</b> 17:18</p> <p><b>Point (4)</b> 3:23 25:14,24 29:15</p> <p><b>policy (8)</b> 4:14 12:9,13,16 13:6,10,11 15:12</p> <p><b>portal (1)</b> 30:12</p> <p><b>possible (2)</b> 4:17 6:9</p> <p><b>possibly (1)</b> 6:3</p> <p><b>Postal (1)</b> 9:3</p> <p><b>post-construction (1)</b> 19:3</p> <p><b>posted (1)</b> 25:21</p> <p><b>Power (1)</b></p>	<p>3:23</p> <p><b>precise (1)</b> 4:17</p> <p><b>prepared (1)</b> 5:5</p> <p><b>preparing (1)</b> 22:8</p> <p><b>present (2)</b> 5:7 8:10</p> <p><b>presentation (8)</b> 3:23 9:5,23 10:9,13, 23 20:10 24:17</p> <p><b>pressurized (2)</b> 17:14 18:23</p> <p><b>prevention (6)</b> 16:14 20:13,22 21:9 22:17 23:9</p> <p><b>previous (1)</b> 14:2</p> <p><b>Previously (4)</b> 15:5 16:24 21:20 30:2</p> <p><b>printed (4)</b> 22:19 23:11,15,18</p> <p><b>printing (1)</b> 22:14</p> <p><b>prior (2)</b> 9:19 12:13</p> <p><b>probably (1)</b> 9:4</p> <p><b>procedures (3)</b> 19:4,6 23:23</p> <p><b>proceed (1)</b> 26:8</p> <p><b>proceeding (2)</b> 6:13 7:16</p> <p><b>proceedings (4)</b> 3:12 5:22 8:12 30:18</p> <p><b>product (4)</b></p>
<b>P</b>			
<p><b>page (5)</b> 9:1,4 25:16,22 30:8</p> <p><b>Part (18)</b> 11:20 13:1,15 14:4, 7 16:24 17:1,7 20:10, 16 21:14,17,22,22 22:17 23:12,15,19</p> <p><b>partial (1)</b> 21:10</p> <p><b>participate (1)</b></p>			



17:14,20 18:18 20:3	<b>public (10)</b>	3:5 8:22 11:17,18	27:20
<b>program (2)</b>	3:5,24 8:11 9:16	<b>received (5)</b>	<b>regulated (4)</b>
19:23 27:8	10:3,14,18 16:13 22:3	4:5 6:10 7:24 9:13,	12:14 13:20 20:1,19
<b>progress (1)</b>	26:12	15	<b>Regulation (5)</b>
26:19	<b>pulled (1)</b>	<b>recognize (4)</b>	10:3 22:20 23:21,
<b>prohibited (2)</b>	17:18	27:7,17 28:17,19	22 26:24
7:4 13:7	<b>pump (1)</b>	<b>recognized (2)</b>	<b>Regulations (21)</b>
<b>prohibiting (2)</b>	29:2	5:8 27:13	7:21 10:4,12 11:1
19:16 21:3	<b>pumps (1)</b>	<b>recognizes (1)</b>	13:8,13,16 14:3 17:23
<b>prohibition (8)</b>	15:22	27:18	21:6,23 22:4,6,8,11,
13:4 16:3,7,20 17:3,	<b>purpose (1)</b>	<b>reconsideration (1)</b>	15,18,24 23:11 28:6,
5 18:2 19:21	7:17	27:24	13
<b>prohibitions (1)</b>	<b>Pursuant (1)</b>	<b>record (16)</b>	<b>regulatory (7)</b>
11:6	4:10	3:18 4:3,13 5:10,21	3:6 10:10,18 20:3,
<b>promulgated (1)</b>	<b>pursue (1)</b>	6:1,6,12 7:22 8:1,5	11 25:17 28:2
21:6	17:11	24:19,24 25:5 29:24	<b>reiterate (1)</b>
<b>promulgation (4)</b>	<b>put (2)</b>	30:3	28:16
10:11,20 22:24	13:21 29:5	<b>recording (1)</b>	<b>related (1)</b>
25:17		7:4	12:3
<b>proper (1)</b>	<b>R</b>	<b>records (4)</b>	<b>release (10)</b>
28:9		24:3,5,10,14	12:3 14:18 15:10,
<b>property (1)</b>	<b>rather (1)</b>	<b>red (2)</b>	19 16:15,16 17:2
12:1	24:12	16:4,6	21:18 24:4,10
<b>proposed (11)</b>	<b>rationale (1)</b>	<b>reduce (1)</b>	<b>relief (1)</b>
3:6 4:8 7:20 8:20	28:22	28:5	17:8
22:6,11,19 23:21	<b>read (4)</b>	<b>reflect (2)</b>	<b>remain (5)</b>
26:24 28:6,13	3:22 4:2 23:3 24:1	25:1 29:24	5:21 14:23 15:20,
<b>protection (3)</b>	<b>reads (1)</b>	<b>reflects (1)</b>	21 30:3
14:18 15:24 18:10	23:16	20:17	<b>remarks (2)</b>
<b>protocol (1)</b>	<b>really (1)</b>	<b>regard (5)</b>	3:22 25:9
4:22	29:17	3:24 4:23 8:19 20:3	<b>remedial (1)</b>
<b>protocols (1)</b>	<b>reason (2)</b>	22:20	17:2
4:2	23:7 28:22	<b>regarding (1)</b>	<b>remember (1)</b>
<b>provide (6)</b>	<b>reasons (1)</b>	11:10	6:16
3:4 6:5,8 7:18	8:7	<b>Register (5)</b>	<b>removal (1)</b>
10:15 24:14	<b>rebate (1)</b>	22:15,18 23:11,14,	22:20
<b>provided (3)</b>	19:22	18	<b>remove (1)</b>
8:3 12:19 22:2	<b>receipt (2)</b>	<b>regs (1)</b>	15:17
<b>provides (1)</b>	6:2 8:10	4:9	<b>removed (6)</b>
21:17	<b>receive (4)</b>	<b>regulate (1)</b>	17:17 21:8,13,20

22:23 23:5	11:5,21 14:20 16:18	<b>sections (1)</b>	3:15
<b>render (1)</b>	<b>restrictors (3)</b>	22:16	<b>sign-in (3)</b>
14:12	21:4,8 23:4	<b>secured (1)</b>	3:13 25:13 26:1
<b>rendered (1)</b>	<b>retrofit (1)</b>	15:24	<b>similar (1)</b>
15:16	18:7	<b>seeing (1)</b>	21:22
<b>renewed (2)</b>	<b>return (1)</b>	29:20	<b>Similarly (1)</b>
12:9,16	18:19	<b>Senior (1)</b>	23:18
<b>Report (1)</b>	<b>reveals (1)</b>	10:7	<b>site (6)</b>
8:2	15:19	<b>sensors (2)</b>	14:21 15:3,5,15,18
<b>reported (1)</b>	<b>review (9)</b>	17:16 18:18	16:12
15:11	8:4,6 10:10,24 11:4,	<b>sent (1)</b>	<b>six (1)</b>
<b>reporter (2)</b>	8 20:11,12 22:12	23:21	15:11
6:18 26:6	<b>right (1)</b>	<b>sentence (1)</b>	<b>slash (1)</b>
<b>reporter's (1)</b>	30:9	23:16	25:3
6:14	<b>routine (5)</b>	<b>September (3)</b>	<b>slide (2)</b>
<b>request (1)</b>	11:9 14:19 18:15	5:24 6:2 30:5	23:13,16
24:7	19:1 21:18	<b>series (1)</b>	<b>slope (9)</b>
<b>require (2)</b>		26:22	17:9,10,21 18:20,
12:12 15:14	<b>S</b>	<b>serve (1)</b>	22 20:4,8 27:5 28:24
<b>required (10)</b>		3:11	<b>slopes (1)</b>
11:22 12:7 13:23	<b>said (4)</b>	<b>Service (7)</b>	29:3
14:12,22 15:6 17:17	9:21 29:16 30:2,15	9:3,10 11:5 13:17,	<b>small (1)</b>
19:9 20:11 29:8	<b>same (4)</b>	22 14:11,16	28:15
<b>requirement (4)</b>	5:7 6:9 9:18 12:11	<b>session (1)</b>	<b>social (1)</b>
17:9 27:5 28:1,19	<b>schedule (2)</b>	8:13	9:8
<b>requirements (25)</b>	10:11,21	<b>shall (4)</b>	<b>solely (1)</b>
11:2,6,12 12:6 13:9	<b>seam (1)</b>	19:20 23:5 24:2,5	4:6
14:4,15 15:1,3 17:10	19:11	<b>sheet (3)</b>	<b>speak (3)</b>
19:24 20:3,6,18 21:3,	<b>second (1)</b>	24:20 25:3 26:1	3:17 6:24 26:2
15,19,20,24 22:5,18	27:6	<b>sheets (2)</b>	<b>speaker (1)</b>
23:9 24:4 27:21 28:24	<b>secondary (1)</b>	3:13 25:13	6:23
<b>requires (1)</b>	27:15	<b>shut (1)</b>	<b>speaking (3)</b>
20:21	<b>Secretary (4)</b>	18:12	5:4 7:1,9
<b>requiring (2)</b>	3:10 8:3,4 9:19	<b>shutoff (2)</b>	<b>specific (3)</b>
12:10 18:9	<b>Secretary's (1)</b>	21:10,11	11:1 28:22 29:15
<b>respect (2)</b>	5:20	<b>shut-off (2)</b>	<b>spoke (1)</b>
28:9 29:6	<b>Section (10)</b>	18:3,11	9:14
<b>respectful (1)</b>	13:16 14:8,8 16:24	<b>side (1)</b>	<b>staff (3)</b>
7:10	17:7,8 20:7,16,17	19:11	8:9 9:22 24:24
<b>responsibility (4)</b>	30:10	<b>signed (1)</b>	<b>stand (1)</b>

26:4	5:13 8:24 9:8 25:19	<b>tagging (2)</b>	<b>third (1)</b>
<b>standard (2)</b>	<b>subsection (5)</b>	16:4,6	11:24
11:14 17:24	13:5 23:12,15,19,20	<b>tags (1)</b>	<b>though (2)</b>
<b>standards (2)</b>	<b>substance (3)</b>	17:3	7:12 25:18
18:10 22:7	12:14 13:20 20:20	<b>Tank (18)</b>	<b>thought (1)</b>
<b>start (2)</b>	<b>Substances (2)</b>	7:21 10:5 13:18,19,	14:6
27:2,9	10:2,8	21,24 14:10,16,23	<b>threat (2)</b>
<b>statement (1)</b>	<b>Substance's (1)</b>	15:6,16,17,19 18:20	16:12,23
28:12	24:17	20:19 23:23 24:3,10	<b>three (6)</b>
<b>statements (2)</b>	<b>substantive (1)</b>	<b>Tanks (4)</b>	4:20 15:15 20:23
5:6 25:20	22:13	3:8 4:9 14:10 15:2	22:23 24:5,12
<b>status (4)</b>	<b>summary (2)</b>	<b>ten (1)</b>	<b>three-minute (1)</b>
13:18 14:5,11,24	5:12 10:11	24:15	5:11
<b>statutory (1)</b>	<b>summer (1)</b>	<b>terminated (2)</b>	<b>three-year (1)</b>
7:17	10:19	12:9 15:11	18:6
<b>still (2)</b>	<b>Sump (5)</b>	<b>test (3)</b>	<b>tight (2)</b>
6:5 10:21	17:17 18:21 19:9,	17:16,18 27:18	11:11 19:17
<b>stipulated (1)</b>	11,15	<b>testing (9)</b>	<b>tightness (1)</b>
15:1	<b>sumps (5)</b>	11:9 14:18 19:3,4,7	17:16
<b>Storage (4)</b>	17:15,22 18:16	20:5 27:7,14 28:18	<b>timer (1)</b>
3:8 4:9 7:21 10:4	19:19 27:14	<b>text (1)</b>	5:1
<b>stored (1)</b>	<b>supplement (1)</b>	9:10	<b>timing (1)</b>
20:20	6:9	<b>their (6)</b>	15:14
<b>stringent (2)</b>	<b>sure (2)</b>	4:21 5:2 9:23 18:21,	<b>today (2)</b>
11:2 28:20	15:13 27:11	23 28:19	25:21 26:10
<b>struck (1)</b>	<b>Sussex (1)</b>	<b>There (22)</b>	<b>tomorrow (1)</b>
23:17	18:19	3:13 4:1,24 5:14	25:23
<b>structures (2)</b>	<b>system (7)</b>	6:7,12 7:2 8:13 12:21	<b>tonight (11)</b>
11:11 19:17	12:15 14:13,19	14:14 15:19 16:14,17	4:1,16 6:4,8,13
<b>subject (2)</b>	16:9,10 20:15 24:11	17:11 19:2 20:6 26:1	7:10,18,23 8:19 9:13
4:6,10	<b>Systems (8)</b>	28:11 30:1,7,8,15	22:7
<b>submersible (1)</b>	10:5 18:1,8 20:14	<b>therefore (2)</b>	<b>tonight's (5)</b>
29:2	21:16,21 22:1 23:24	8:8 16:8	4:7 5:22 6:18 7:15
<b>submission (1)</b>		<b>they (11)</b>	8:14
12:15	<b>T</b>	7:3 14:17 18:20,23	<b>took (2)</b>
<b>submit (2)</b>		22:22 27:17,19,21	10:16 26:20
27:1 29:19	<b>table (1)</b>	28:18 29:5,11	<b>top (1)</b>
<b>submittal (1)</b>	25:3	<b>think (7)</b>	19:8
12:12	<b>tag (1)</b>	28:8,10,17,20 29:7,	<b>total (1)</b>
<b>submitted (4)</b>	17:5	8,18	4:20

<b>totally (1)</b> 25:16	21:9 23:6 26:2	<b>vapor (1)</b> 18:18	<b>ways (1)</b> 15:22	
<b>toward (1)</b> 17:22	<b>unobtrusive (1)</b> 7:7	<b>vent (4)</b> 15:21 18:18 21:4 23:3	<b>web (3)</b> 25:15,22 30:7	
<b>training (1)</b> 11:4	<b>until (1)</b> 15:6	<b>verbal (1)</b> 7:23	<b>website (1)</b> 22:2	
<b>transcribe (1)</b> 6:20	<b>up (1)</b> 26:4	<b>verbally (1)</b> 9:12	<b>Wednesday (2)</b> 5:24 30:4	
<b>transcript (3)</b> 6:15,17 7:23	<b>upgrade (1)</b> 19:23	<b>verbatim (1)</b> 6:14	<b>weight (1)</b> 9:18	
<b>transferred (1)</b> 12:21	<b>upgrades (1)</b> 21:18	<b>version (1)</b> 14:3	<b>welcome (1)</b> 10:1	
<b>treat (1)</b> 4:18	<b>upon (1)</b> 23:1	<b>VEST (11)</b> 3:1,10 9:7 24:21,23 25:11 26:13 27:11 29:13,22 30:7	<b>whereby (1)</b> 21:23	
<b>Tube (1)</b> 9:10	<b>use (8)</b> 5:11 13:19 17:24 18:13,16,22,24 19:16	<b>via (3)</b> 9:1,3,13	<b>wish (5)</b> 3:17 6:8 8:22 26:12 30:13	
<b>tubes (1)</b> 17:17	<b>used (6)</b> 7:6 12:5 20:8 22:8	<b>video (1)</b> 7:4	<b>wishes (1)</b> 5:19	
<b>Tuesday (1)</b> 3:2	<b>using (1)</b> 9:8	<b>vision (1)</b> 18:8	<b>wishing (4)</b> 4:1,15 30:1,16	
<b>turn (1)</b> 9:21	<b>USPS (1)</b> 30:13	<b>visual (1)</b> 5:1	<b>within (6)</b> 6:10 9:15 10:7 15:11,15 24:6	
<b>turned (1)</b> 7:15	<b>UST (11)</b> 4:9 11:15 12:14 14:13,19 16:9,10 20:14 21:16,21 23:24	<b>voice (1)</b> 6:20	<b>workgroup (1)</b> 26:17	
<b>Twitter (1)</b> 9:9	<b>USTs (2)</b> 11:7 20:15	<b>W</b>		
<b>two (3)</b> 26:23 27:4 29:15	<b>utilized (1)</b> 24:3	<b>walking (1)</b> 24:24	<b>workshop (1)</b> 10:16	
<b>type (1)</b> 19:20	<b>V</b>		<b>writing (2)</b> 27:1 29:19	
<b>U</b>		<b>wall (1)</b> 19:11	<b>written (5)</b> 5:6 6:5 7:24 9:7 25:20	
<b>ultimately (2)</b> 8:5 12:19	<b>VALENTINO (6)</b> 26:9,10,14 27:12 29:14,23	<b>wanted (1)</b> 23:8	<b>Y</b>	
<b>under (2)</b> 14:4 28:2	<b>valves (6)</b> 18:3,12 21:5,13 22:21 23:4	<b>Waste (3)</b> 10:2,7 24:17	<b>years (4)</b> 20:23 22:23 24:5,12	
<b>Underground (4)</b> 3:7 4:8 7:20 10:4		<b>way (2)</b> 7:6 29:18	<b>yielding (1)</b> 5:14	
<b>unless (3)</b>				

<p><b>1</b></p>	<p>21:1,9 23:6 <b>2025 (2)</b></p>	<p><b>80 (1)</b> 11:18</p>	
<p><b>1 (2)</b> 22:14 25:6 <b>1,000 (1)</b> 18:9 <b>1/8 (2)</b></p>	<p>19:18,21 <b>24 (1)</b> 19:14 <b>27 (1)</b> 3:2</p>	<p><b>85 (1)</b> 21:11 <b>88 (1)</b> 21:12</p>	
<p>18:19 28:24 <b>11 (2)</b></p>	<p><b>3</b></p>		
<p>5:24 30:5 <b>11th (1)</b> 6:2 <b>12 (4)</b> 14:11,21 15:6 29:4 <b>13 (4)</b> 20:16 21:1,8 23:5 <b>1351 (2)</b></p>	<p><b>30 (3)</b> 17:24 29:4,12 <b>30-day (2)</b> 18:15,24 <b>31 (2)</b> 19:18,21 <b>32 (3)</b> 24:19 25:7,18</p>		
<p>3:7 10:3 <b>14 (3)</b></p>	<p><b>4</b></p>		
<p>17:7 24:6,14 <b>15 (2)</b> 5:22 6:10 <b>16 (1)</b></p>	<p><b>4 (1)</b> 19:10 <b>4:30 (1)</b> 5:24</p>		
<p>10:17 <b>1'8-inch (1)</b> 17:8</p>	<p><b>6</b></p>		
<p><b>2</b></p>	<p><b>6:00 (1)</b> 3:2</p>		
<p><b>2 (3)</b> 13:16 14:8 16:24</p>	<p><b>6:31 (1)</b> 30:21</p>		
<p><b>2.27.1 (2)</b> 23:12,15</p>	<p><b>7</b></p>		
<p><b>2.30.4.1.7 (1)</b> 23:19 <b>2019 (5)</b></p>	<p><b>7 (1)</b> 3:7</p>		
<p>3:2 5:24 10:17,19 30:5</p>	<p><b>8</b></p>		
<p><b>2021 (3)</b></p>			