In The Matter Of:

DNREC Public Hearing General Motors - Unit 4

Docket 2020-R-WH-0008 April 9, 2020

Wilcox & Fetzer, Ltd. 1330 King Street Wilmington, DE 19801 email: depos@wilfet.com, web: www.wilfet.com phone: 302-655-0477, fax: 302-655-0497



**Min-U-Script® with Word Index** 

DEPARTMENT OF NATURAL RESOURCES & ENVIRONMENTAL CONTROL OF THE STATE OF DELAWARE RE: Proposed Plan of Remedial Action ) for the General Motors Corp. Wilmington ) Assembly Plant Operable Unit 4 ) Docket #2020-R-WH-0008, Public Hearing ) .. .. .. .. .. .. Virtual Public Hearing Dial-In Number 1-408-418-9388 Access Code: 350 462 960 Thursday, April 9, 2020 6:00 p.m. .. .. .. .. .. Lisa Vest, Hearing Officer BEFORE: ALSO PRESENT: Rick Galloway, DNREC -- Transcript of Proceedings --WILCOX & FETZER

WILCOX & FETZER 1330 King Street Wilmington, DE 19801 (302) 655-0477 www.wilfet.com



TABLE OF CONTENTS Page Introduction by Ms. Vest . Presentation by the Division, Mr. Galloway. . . Entry of Exhibits б Conclusory Remarks by Ms. Vest . . . . . . . Certificate of Reporter . . . . . . 29 • . . • • 



1 MS. VEST: Thank you for taking 2 the time out of your busy day to join us 3 tonight. 4 The date is Thursday, April 9, 5 2020, and we are here this evening to provide a virtual platform for the State of 6 7 Delaware's Department of Natural Resources and Environmental Control to conduct a 8 9 hearing on the proposed plan of remedial 10 action for GM OU-4 located in Wilmington, 11 Delaware. 12 For those of you that may not 13 recognize me, my name is Lisa Vest, and 14 Secretary Garvin has designated me to be the 15 hearing officer for tonight's proceedings. 16 Very briefly, there have been 17 changes made to DNREC's standard meeting 18 protocols necessitated, of course, by the 19 ongoing state of emergency due to the COVID-19 pandemic. 20 21 First and foremost, this hearing is being conducted virtually. 22 Staff is not 23 together gathered in the same room. 24 Everybody is participating independently at



1

their respective locations.

2 While there are no sign-in sheets to document physical attendance tonight, 3 4 WebEx does generate a list of those that are 5 virtually present for this hearing so that the Department can still maintain an 6 7 accurate record of those who have joined 8 tonight. And I would like to thank everyone for their interest in this matter. 9 10 At the conclusion of these 11 remarks, I will be turning the hearing over 12 to Department staff, who will be making a brief Power Point presentation regarding the 13 14 proposed plan of remedial action for GM OU-4 15 for the benefit of comments being generated 16 tonight. 17 There is still a court reporter 18 virtually present. There will be a verbatim 19 transcript of the hearing tonight, which it 20 is our statutory requirement to have the 21 same prepared. And, as always, that transcript will be posted on the hearing 22 23 website that's dedicated to this matter as 24 soon as the Department receives it.

1 Please note that the Department 2 will not be accepting any comments in 3 realtime during this hearing. DNREC wishes 4 to ensure, however, that everyone is able to offer their comments for inclusion into the 5 record. 6 7 Therefore, until further notice, the record will remain open for a minimum of 8 9 15 days following this hearing event 10 tonight. 11 In more complex cases and in the 12 event that a request for an extension is received, an extension of time for comment 13 14 will be considered. 15 I would encourage those that have 16 logged in tonight to check out DNREC's web 17 page for public hearings under the 18 administrative hearing section of the website for more detail. 19 Of course, all mechanisms 20 21 previously available by which the public can offer comment remain in effect. 22 There is an 23 electronic link on the hearing page. There And, of course, there is the 24 is e-mail.



1 U.S. Postal Service. Also, briefly, all protocols 2 remain in place for our hearing tonight. 3 4 All comment received must be limited exclusively to the subject matter of 5 tonight's hearing. All comments pertinent 6 7 to this matter will be incorporated into the 8 hearing record being generated. 9 In order to ensure that everyone 10 who chooses to offer comment is able to do 11 so, the record shall remain open through 12 Friday, April 24, 2020. There is only one authentic record 13 14 of this proceeding tonight, and it is the 15 official court reporter's transcript. 16 The statutory purpose of the 17 hearing tonight is to help build a record 18 with regard to the Department's proposed 19 actions. A record consisting of the 20 21 transcript of the hearing tonight, all the written comments that have been entered, all 22 exhibits, and the Hearing Officer's report, 23 24 will be reviewed by the Secretary.



1 Secretary Garvin will ultimately issue an order following his review with his 2 3 decision on this matter and the reasons 4 therefore. 5 As is customary in DNREC hearings, no Q and A session will be permitted during 6 7 the hearing, nor will there be any realtime 8 comments accepted. 9 Lastly, it is important to note 10 that no decision has already been made 11 tonight by the Department, nor will any 12 decision be made tonight with regard to the 13 proposed plan of action. 14 The record will remain open 15 15 days following the hearing tonight so that 16 all members of the public may have ample 17 opportunity to offer comment for the 18 Secretary's deliberation. 19 Written comment again may be 20 received to the Department through Friday, 21 April 24, 2020. Comments can be submitted 22 through a comment forum on the hearing page, 23 via e-mail to 24 DNRECHearingComments@delaware.gov, or via



1	the U.S. Postal Service at the physical
2	address for DNREC in Dover, as indicated on
3	our website.
4	Written comments to DNREC may not
5	be submitted using any social media platform
б	such as Twitter, Facebook, YouTube or basic
7	text messaging.
8	Lastly, it is important to note
9	that all comment, whether it's received
10	through the mail or through the electronic
11	mechanisms that I have just described, as
12	long as it's received on or before
13	April 24th, all bears the same weight, and
14	it will all be taken into consideration by
15	Secretary Garvin prior to his making a
16	decision in this matter.
17	This hearing tonight merely acts
18	as one of the many mechanisms that the
19	record includes to enable the Department to
20	fully vet its proposed plan of action to the
21	public and to let the public know the
22	various ways by which they can communicate
23	their concerns or comments to the
24	Department.

Г



1 That being said, I am going to 2 turn it over now to Rick Galloway. He is 3 the Department's expert with regard to this 4 matter. If I can just get this to -- Rick, 5 are you there? MR. GALLOWAY: Yes. I'm here. 6 7 MS. VEST: Okay. Give me one 8 second. And we will get you going. It is 9 now switching over to you. I believe that 10 you have control. 11 MR. GALLOWAY: Yes. Thank you 12 very much, Lisa, for that. 13 And as you can see, this 14 information is up here about the plan. I am 15 going to, before we get started, I'm going 16 to just say that we should please enter the 17 exhibit list into the record. 18 MS. VEST: Proceed. Okay. 19 MR. GALLOWAY: Hello. My name is Rick Galloway. I'm the project officer for 20 21 the GM Wilmington Assembly Plant Operable Unit 4. We will refer to it or throughout 22 23 as OU-4. 24 And everyone is aware that this is



the location of the property we are talking 1 2 about, the former GM plant. Here is Boxwood Road, just to give people a reference. 3 4 Okav. So the site was divided into a number of different operable units, 5 OU-1 through OU-6. We are talking about 6 7 Operable Unit 4 which, as you can see, is this black box area located here. 8 9 So this is just an overhead shot 10 of a map of the site. And I will go through 11 a couple of points that I think people need 12 to take note of. 13 North is to the top of the page 14 here. Here is the fence line right here at 15 And everything on this side of the GM. 16 fence line is GM property. 17 Everything on this, in this 18 direction at the right side of the page is off of the GM property. 19 This is the Anchor Motor Freight 20 21 building, which we are going to be talking 22 about, and the tanks that we are going to 23 call them USTs are located in approximately 24 this area.



10

1 And then you will note here this small purple box is called an SVE, a soil 2 3 vapor extraction system. I am going to talk 4 a little bit about that tonight. And then the red line is the 5 benzene contamination that was in the 6 7 groundwater above the action level, the drinking water level. 8 And the dashed blue line is the 9 10 screening level, which is lower, but not the 11 standard that we will talk about tonight. 12 And then townhouses are located 13 here to the right of Dodson Avenue, which is 14 right here. 15 So this image is showing a lot of It's a side view. 16 different things. 17 Obviously, the blue is the air and above 18 ground. The brown is below ground. The blue line going across here is 19 the groundwater. And this is meant to kind 20 21 of show a lot of different information here about the samples that were taken. 22 23 So I will point to the former UST 24 is former underground storage tanks which

1 were next to the Anchor Building that leaked 2 into the soil and into the groundwater. And then the groundwater traveled off site. 3 4 And then the orange lines that are 5 depicted here, they are vapors that, you know, under certain conditions can travel up 6 7 through the soil, and then they can travel 8 up underneath a building slab or a concrete slab -- here we call them sub-slab -- and 9 10 then into indoor air. And that's where they 11 end up. 12 And then you will see that there 13 are SGs, soil gas sampling locations, 14 sampling of an actual soil gas that was in 15 the ground. 16 You will see the SVE system I 17 talked about, soil vapor extraction. 18 You will also see groundwater monitoring wells, and also soil gas, indoor 19 And then we also have OA is outdoor 20 air. 21 air or ambient air. 22 So I'm not going to go through a 23 lot of this. I won't read this. But just 24 suffice to say that there were a number of

1 samples taken from the soil groundwater and 2 the air. You will note that some of them 3 4 say on-site and some of them say off-site that I was referring to. 5 If it says on-site, that's on the GM property. 6 And if 7 it says off-site, it was taken off-site of 8 the property in the townhouses, around the townhouses in the area. 9 10 So this is going to be a breakdown 11 of the environmental history timeline. You 12 can see a copy of that, and the exhibit list will have these documents on it. 13 14 So we will start off with the new 15 further action letter in 1990 and work our 16 way through the different investigations 17 that were done on the site. 18 So the site history really began in 1990 when 12 underground storage tanks, 19 or we call them USTs, were removed which 20 21 were adjacent to the Anchor Motor Freight Building that I showed you. 22 23 The USTs contained the gasoline, 24 diesel, waste oil, heating oil, and engine



1 oil. And the contaminated soil was land farmed and then disposed off site. 2 3 Our tank management section issued 4 a no further action under the tank 5 regulations on November 1990. And then in 2012 after the closure 6 7 and the bankruptcy at GM, RACER began to do remedial investigation of all the different 8 9 areas on the site. 10 And that, what happened there is 11 that, you know, we found some groundwater 12 contaminant. The groundwater had been previously determined to be flowing to the 13 Then when these additional -- initial 14 west. 15 investigations for the RI found that it was 16 traveling to the northeast. We also found contamination around 17 18 this OU-4 around these former storage tanks. And that began some more intensive 19 investigations around that area. 20 21 So first I'm going to talk about I'm going to talk about 22 the investigation. 23 the groundwater contamination. And then I'm 24 going to talk about the vapors that I



1 mentioned before. So the groundwater contamination 2 3 consisted of Volatile Organic Compounds, 4 including 1,2,4-trimethylbenzene, which you will see as 1,2,4-TMB, ethylbenzene, 5 benzene, and xylene. 6 7 And then semi-volatile, not quite as volatile compounds, such as the 8 9 naphthalene. 10 We also found non-aqueous phase 11 liquid (NAPL) on site. That's just 12 basically oil on top of the water. So if you do a boring, you will 13 find, if you drill a hole on this when it 14 15 has NAPL, it will have some oil floating on 16 top of the water. 17 And, as I mentioned before, the 18 dissolved contaminants over drinking water standards has migrated a few hundred feet 19 offsite along the northeast groundwater flow 20 21 direction. So those contaminants are pretty 22 23 similar in how they were flowing off site. 24 However, there are no drinking



1 water wells within 1 mile of the former GM 2 facility. 3 And the fact that it was done a 4 few hundred feet after this time period 5 indicated that it was probably degrading due to bacteria in the groundwater and soil that 6 7 was naturally there. However, it did present a risk to 8 on-site commercial and residential users 9 10 above the cancer risk of one times ten to 11 the minus five, which is one person getting 12 cancer in 100,000 and/or a non-cancer risk of one. 13 14 These are just sort of 15 calculations, but this is what we mean when 16 we refer to a Hazardous Site Cleanup Act When I talk about risk 17 risk standards. 18 standards, this is what I am talking about 19 for cleanup. Sorry. Apologize. 20 So Vapor Intrusion. I'm going to 21 talk real briefly about vapor intrusion. And it's important that you have a pathway. 22 23 In order to have a risk, you need to have 24 coming from the groundwater into the soil



1 gas migrating, and in the sub-slab 2 underneath the slab, and then in the indoor 3 air. 4 If you don't have a clear pathway, 5 then you don't really have vapor intrusion occurring. 6 7 And so at this site we did see some things in the indoor air, including 8 1,2,4 trimethylbenzene, benzene, and 9 10 ethylbenzene in the indoor air. 11 Results from the four monitoring 12 events at the townhouse show one of the following conditions. So the majority of 13 14 them, we had no indoor air exceedances. In 15 some of them, we had no paired sub-slab indoor air exceedances. So if they had it 16 17 in the sub-slab, they didn't have it in the 18 indoor air. If they had it in the indoor air, they didn't have it in the sub-slab 19 20 air. 21 And also we had a condition where it had some indoor air exceedances but also 22 23 ambient air exceedances, which is the 24 outside air of the same chemicals about the



same concentration.

1

2 So, you know, we are having 3 situations where we don't have complete 4 pathway and there was either an indoor air 5 source or there was an ambient outdoor air 6 source. 7 So as a result, there was no risk to the townhouses from the vapor intrusion. 8 9 However, vapors were migrating 10 toward the townhouses, and that was a 11 concern, and I will touch on that in just a 12 minute. There was some additional 13 14 supplemental vapor intrusion risk evaluation 15 that was performed, including looking at the 16 data, talking about multiple lines of 17 evidence, which is looking at different ways 18 of calculating what the risk might be inside, seeing how they all line up, looking 19 at vertical separation to see, you know, it 20 21 should be if you have a certain amount of separation between the groundwater and the 22 23 indoor air, it will degrade as it migrates 24 up to the soil.



1 And, in fact, after doing all those things, that's what we saw is there is 2 3 still no risk to the townhouses from vapor 4 intrusion. So I talked a little 5 All right. bit about where this could be coming from if 6 7 it's not coming from the GM property. We talked about outdoor air from, 8 9 you know, cars go by, and they break down 10 petroleum, and benzene is formed, and that 11 can show up, and also indoor air sources, so 12 things that are used in the house that I show on this list, paint and all those 13 14 different compounds there, air fresheners 15 and candles. 16 And this is a handy reference for 17 people to look at in different sources for 18 indoor air pollution at the bottom of the 19 page there. So as I mentioned, there was some 20 21 concern -- excuse me. Sorry. We skipped a 22 page. I apologize. 23 And so because of these potential 24 migration of vapors, it was decided that

1 there was going to be an interim action 2 before the proposed plan, before this 3 proposed plan. 4 So even before all the 5 investigations were done, it was decided that there would be some sort of interim 6 7 action. In one of the townhouses, the 8 groundwater was heading in the direction of 9 10 Units 44 and 46. They were in the process 11 of being built. And so it was decided to 12 put in some sub-slab venting as a protective 13 measure so that if there were vapors, they 14 could be safely vented. 15 The other townhouses were already 16 constructed, so that wasn't seriously considered. 17 18 So there was a focused feasibility study to select a remedy, and the remedy was 19 the soil vapor extraction that I mentioned 20 21 before. And that started March 2015. And they did weekly monitoring and maintenance 22 23 of the SVE system during its operation. 24 The SVE system basically is a

1 vacuum system where they pull the vapors out of these wells, and they pull those vapors 2 out and treat it, and then after it's 3 4 treated, it's vented to the outside air. 5 The SVE system operated from March 30, 2015 to June 15, 2018 6 7 continuously, and then it was periodically pulsed, turned off and on, different wells 8 were opened, closed, to try to tweak out and 9 10 get as much as possible contamination out of 11 the ground. The system, itself, removed about 12 13 8,000 pounds of hydrocarbons, which is the 14 petroleum from the ground. 15 And it was pretty effective. They 16 decreased the NAPL floating on the water 17 from about 4 inches to not being able to be 18 observed in any of the wells that they had on the site. 19 The product recovery stalled over 20 21 time. It started off, as you can imagine, doing a really good job and pulling a lot 22 23 And then over time it became more and out. 24 more difficult to get more and more out.



1 And even with the pulsing where they would 2 shut it off and try to shock the system, if they got a little bit more out, they were 3 4 not able to get much. And it was judged that the SVE 5 system had recovered as much product as was 6 7 possible. The details of the SVE system can 8 be found in the August 5, 2019 soil vapor 9 10 extraction system report. 11 Then it came time to come up with 12 the final remedy for OU-4, operable unit The feasibility study included 13 four. 14 resampling of off-site sub-slab, indoor air, 15 ambient, which is outdoor, and soil gas for 16 VOCs to try to see if there was a complete 17 pathway there where they could see that 18 there was maybe something coming in after the system had been shut down. 19 So the resampling showed benzene, 20 21 only benzene indoor in two of the townhouses. 22 23 However, benzene was not in the 24 sub-slab. And also it was in the background



1 range for the US of about 4 micrograms per 2 meter cubed. 3 As a result, there was no risk 4 above standards from vapor intrusion for the offsite residents, so it was not a complete 5 6 pathway. 7 The FS evaluated five different remedial actions, including 8 excavation/disposal, SVE system, chemical 9 10 treatment, thermal treatment, and a passive 11 wall to prevent contamination from 12 migrating. The SVE was still determined to be 13 14 the most likely and most effective remedy. 15 However, since the SVE removal was judged to 16 be complete, no vapor intrusion was present 17 in the townhouses, and the groundwater is 18 not impacting any drinking water wells and is degrading offsite within several hundred 19 20 feet, no active remedy was judged to be 21 required. The remedy selected for the site 22 23 was restricting on-site groundwater use and 24 future use of the site of the GM property to

1 non-residential, implementing a Contaminated 2 Material Management Plan to protect workers handling the soil and the groundwater during 3 4 redevelopment, and also long-term stewardship to monitor groundwater. 5 It's important to note that the 6 7 SVE system is going to remain in place in the event that the monitoring of the 8 groundwater conditions identifies a 9 10 potential risk for on-site workers or people 11 basically off site. 12 So this is the proposed plan action for the site, which is basically with 13 14 a longer version of what I just discussed. 15 Environmental covenant is like a deed restriction that restricts the 16 17 property, the environmental use of the 18 property. 19 So it's the GM property, itself, is restricted to non-residential use 20 21 permitted within the commercial, manufacturing, and industrial districts. 22 23 Limitations on groundwater 24 withdrawal: So the groundwater can't be

1 used at the site without DNREC written 2 approval. 3 Again, compliance with the 4 Contaminated Materials Management Plan. And then compliance with the 5 long-term stewardship plan. 6 7 So the long-term stewardship plan, as I mentioned, has to be submitted within 8 60 days of the final plan of remedial action 9 10 appeal period. And it's going to detail the 11 monitoring that's going to have to take 12 place to make sure that the groundwater is 13 not presenting a risk to any off-site 14 receptors. 15 The Contaminated Material 16 Management Plan is going to be for making sure that the workers on site are able to 17 18 handle the soil safely, and it will include making sure that the soil does not migrate 19 and airborne dust does not migrate off the 20 21 site and that groundwater is not posing a risk to offsite receptors. 22 23 And then remedial action 24 completion report is just a document that

1 summarizes everything that was done on the 2 site. And COCR, which is a certificate 3 4 of completion of remedy must be completed. That doesn't mean that everything 5 It would be in this case the 6 stops. 7 proposed plan is to keep monitoring the groundwater to make sure that it continues 8 to be safe. 9 10 With that, this is my contact 11 information. It will be available in the 12 presentation for your view. 13 And then, as Lisa was mentioning, 14 the comment period will go through 15 April 24th, and people can submit their 16 comments or questions as dictated on the 17 website. 18 So, with that, that's the end of 19 my presentation, and I will turn it back 20 over to Lisa. 21 MS. VEST: Thank you very much, Rick. 22 23 As Rick said, the Power Point that 24 was just presented is available. It's been



1 posted on the hearing web page, and folks can go check that out at their leisure. 2 3 Again, the record does remain open 4 through Friday, April 24, 2020. And we would encourage anybody that wishes to offer 5 their comments for the Secretary's review to 6 7 do so. Rick, just as one final thing for 8 housekeeping, your exhibits on behalf of the 9 10 Department, are they as posted on the DNREC 11 website for this hearing? 12 MR. GALLOWAY: Yes. Well, let 13 MS. VEST: Yes. Okay. 14 the record reflect exhibits as posted on the 15 hearing web page are hereby entered into the record in this matter. 16 17 Additionally, as soon as we get 18 the court reporter's transcript, that will be posted, as well. 19 That being said, we will conclude 20 21 this portion of the record with regard to the virtual hearing tonight. 22 23 For those that attended virtually, 24 I want to thank you for your time. Again,



just check back on the website. We will get that posted as soon as we have it. Thank you for attending. This meeting is hereby adjourned. (Concluded at 6:27 p.m.) б 



1	CERTIFICATE
2	I, Lorena J. Hartnett, a Notary Public and
3	Registered Professional Reporter, do hereby certify
4	that the foregoing is an accurate and complete
5	transcription of the proceeding held at the time and
6	place stated herein, and that the said proceeding
7	was recorded by me and then reduced to typewriting
8	under my direction, and constitutes a true record of
9	the testimony given by said witnesses.
10	I further certify that I am not a relative,
11	employee, or attorney of any of the parties or a
12	relative or employee of either counsel, and that I
13	am in no way interested directly or indirectly in
14	this action.
15	IN WITNESS WHEREOF, I have hereunto set my
16	hand and affixed my seal of office on this 14th day
17	of April 2020.
18	
19	LP ON LOOP
20	Xouver Harney
21	
22	Lorena J. Hartnett Registered Professional Reporter
23	REGISCELEG PLOLESSIONAL REPORTER
24	

٨	administrative (1)	appeal (1)	bacteria (1)
Α	5:18	25:10	16:6
	after (5)	approval (1)	bankruptcy (1)
ble (5)	14:6 16:4 19:1 21:3	25:2	14:7
5:4 6:10 21:17 22:4	22:18	approximately (1)	basic (1)
25:17	again (4)	10:23	8:6
bove (4)	7:19 25:3 27:3,24	April (6)	basically (4)
11:7,17 16:10 23:4	air (26)	3:4 6:12 7:21 8:13	15:12 20:24 24:11
ccepted (1)	11:17 12:10,20,21,	26:15 27:4	13
7:8	21 13:2 17:3,8,10,14,	area (4)	bears (1)
ccepting (1)	16,18,19,20,22,23,24	10:8,24 13:9 14:20	8:13
5:2	18:4,5,23 19:8,11,14,	areas (1)	became (1)
ccurate (1)	18 21:4 22:14	14:9	21:23
4:7	airborne (1)	around (4)	before (8)
cross (1)	25:20	13:8 14:17,18,20	8:12 9:15 15:1,17
11:19	along (1)	Assembly (1)	20:2,2,4,21
.ct (1)	15:20	9:21	began (3)
16:16	already (2)	attendance (1)	13:18 14:7,19
ction (12)	7:10 20:15	4:3	behalf (1)
3:10 4:14 7:13 8:20	Also (11)	attended (1)	27:9
11:7 13:15 14:4 20:1,	6:2 12:18,19,20	27:23	being (7)
7 24:13 25:9,23	14:17 15:10 17:21,22	attending (1)	3:22 4:15 6:8 9:1
ctions (2)	19:11 22:24 24:4	28:3	20:11 21:17 27:20
6:19 23:8	always (1)	August (1)	believe (1)
ctive (1)	4:21	22:9	9:9
23:20	ambient (4)	authentic (1)	below (1)
cts (1)	12:21 17:23 18:5	6:13	11:18
8:17	22:15	available (3)	benefit (1)
ctual (1)	amount (1)	5:21 26:11,24	4:15
12:14	18:21	Avenue (1)	benzene (7)
dditional (2)	ample (1)	11:13	11:6 15:6 17:9
14:14 18:13	7:16	aware (1)	19:10 22:20,21,23
dditionally (1)			19.10 22.20,21,23 between (1)
27:17	Anchor (3)	9:24	
ddress (1)	10:20 12:1 13:21	В	18:22
8:2	and/or (1)		bit (3)
djacent (1)	16:12	back (2)	11:4 19:6 22:3
13:21	anybody (1)	26:19 28:1	black (1)
djourned (1)	27:5	background (1)	10:8
28:4	Apologize (2)	22:24	blue (3)
	16:19 19:22		11:9,17,19

boring (1)	16:10,12	comments (11)	conducted (1)
15:13	candles (1)	4:15 5:2,5 6:6,22	3:22
bottom (1)	19:15	7:8,21 8:4,23 26:16	consideration (1)
19:18	cars (1)	27:6	8:14
box (2)	19:9	commercial (2)	considered (2)
10:8 11:2	case (1)	16:9 24:21	5:14 20:17
Boxwood (1)	26:6	communicate (1)	consisted (1)
10:2	cases (1)	8:22	15:3
break (1)	5:11	complete (4)	consisting (1)
19:9	certain (2)	18:3 22:16 23:5,16	6:20
breakdown (1)	12:6 18:21	completed (1)	constructed (1)
13:10	certificate (1)	26:4	20:16
brief (1)	26:3	completion (2)	contact (1)
4:13	changes (1)	25:24 26:4	26:10
briefly (3)	3:17	complex (1)	contained (1)
3:16 6:2 16:21	check (3)	5:11	13:23
brown (1)	5:16 27:2 28:1	compliance (2)	contaminant (1)
11:18	chemical (1)	25:3,5	14:12
build (1)	23:9	Compounds (3)	contaminants (2)
6:17	chemicals (1)	15:3,8 19:14	15:18,22
building (4)	17:24	concentration (1)	contaminated (4)
10:21 12:1,8 13:22	chooses (1)	18:1	14:1 24:1 25:4,15
built (1)	6:10	concern (2)	contamination (6)
20:11	Cleanup (2)	18:11 19:21	11:6 14:17,23 15:2
busy (1)	16:16,19	concerns (1)	21:10 23:11
3:2	clear (1)	8:23	continues (1)
	17:4	conclude (1)	26:8
С	closed (1)	27:20	continuously (1)
	21:9	Concluded (1)	21:7
calculating (1)	closure (1)	28:5	Control (2)
18:18	14:6	conclusion (1)	3:8 9:10
calculations (1)	COCR (1)	4:10	<b>copy</b> (1)
16:15	26:3	concrete (1)	13:12
call (3)	come (1)	12:8	could (3)
10:23 12:9 13:20	22:11	condition (1)	19:6 20:14 22:17
called (1)	coming (4)	17:21	couple (1)
11:2	16:24 19:6,7 22:18	conditions (3)	10:11
came (1)	comment (9)	12:6 17:13 24:9	course (3)
22:11	5:13,22 6:4,10 7:17,	conduct (1)	3:18 5:20,24
cancer (2)	19,22 8:9 26:14	3:8	court (3)

General Motors - Unit 4			April 9
4:17 6:15 27:18	deliberation (1)	10:4	electronic (2)
covenant (1)	7:18	DNREC (6)	5:23 8:10
24:15	Department (10)	5:3 7:5 8:2,4 25:1	e-mail (2)
<b>COVID-19</b> (1)	3:7 4:6,12,24 5:1	27:10	5:24 7:23
3:20	7:11,20 8:19,24 27:10	DNRECHearingComments@delawaregov (1)	emergency (1)
cubed (1)	Department's (2)	7:24	3:19
23:2	6:18 9:3	DNREC's (2)	enable (1)
customary (1)	depicted (1)	3:17 5:16	8:19
7:5	12:5	document (2)	encourage (2)
	described (1)	4:3 25:24	5:15 27:5
D	8:11	documents (1)	end (2)
	designated (1)	13:13	12:11 26:18
dashed (1)	3:14	Dodson (1)	engine (1)
11:9	detail (2)	11:13	13:24
data (1)	5:19 25:10	done (4)	ensure (2)
18:16	details (1)	13:17 16:3 20:5	5:4 6:9
date (1)	22:8	26:1	enter (1)
3:4	determined (2)	Dover (1)	9:16
day (1)	14:13 23:13	8:2	entered (2)
3:2	dictated (1)	down (2)	6:22 27:15
days (3)	26:16	19:9 22:19	Environmental (4)
5:9 7:15 25:9	diesel (1)	drill (1)	3:8 13:11 24:15,17
decided (3)	13:24	15:14	ethylbenzene (2)
19:24 20:5,11	different (10)	drinking (4)	15:5 17:10
decision (4)	10:5 11:16,21	11:8 15:18,24 23:18	evaluated (1)
7:3,10,12 8:16	13:16 14:8 18:17	due (2)	23:7
decreased (1)	19:14,17 21:8 23:7	3:19 16:5	evaluation (1)
21:16	difficult (1)	during (4)	18:14
dedicated (1)	21:24	5:3 7:6 20:23 24:3	even (2)
4:23	direction (3)	dust (1)	20:4 22:1
deed (1)	10:18 15:21 20:9	25:20	evening (1)
24:16	discussed (1)		3:5
degrade (1)	24:14	E	event (3)
18:23	disposed (1)		5:9,12 24:8
degrading (2)	14:2	effect (1)	events (1)
16:5 23:19	dissolved (1)	5:22	17:12
Delaware (1)	15:18	effective (2)	Everybody (1)
3:11	districts (1)	21:15 23:14	3:24
Delaware's (1)	24:22	either (1)	everyone (4)
3:7	divided (1)	18:4	4:8 5:4 6:9 9:24

General Motors - Unit 4	
everything (4)	few (2)
10:15,17 26:1,5	15:19 16:4
evidence (1)	final (3)
18:17	22:12 25:9 27:8
excavation/disposal (1)	<b>find</b> (1)
23:9	15:14
exceedances (4)	First (2)
17:14,16,22,23	3:21 14:21
exclusively (1)	<b>five</b> (2)
6:5	16:11 23:7
excuse (1)	floating (2)
19:21	15:15 21:16
exhibit (2)	flow (1)
9:17 13:12	15:20
exhibits (3)	flowing (2)
6:23 27:9,14	14:13 15:23
expert (1)	focused (1)
9:3	20:18
extension (2)	folks (1)
5:12,13	27:1
extraction (4)	following (4)
11:3 12:17 20:20	5:9 7:2,15 17:1
22:10	foremost (1)
_	3:21
F	formed (1)
	19:10
Facebook (1)	

Facebook (1) 8:6 facility (1) 16:2 fact (2) 16:3 19:1 farmed (1) 14:2 feasibility (2) 20:18 22:13 feet (3) 15:19 16:4 23:20 fence (2) 10:14,16

:8 13 former (5) 10:2 11:23,24 14:18 16:1 forum (1) 7:22 found (5) 14:11,15,17 15:10 22:9 four (2) 17:11 22:13 Freight (2) 10:20 13:21 fresheners (1) 19:14

Friday (3) 6:12 7:20 27:4 FS (1) 23:7 fully (1) 8:20 further (3) 5:7 13:15 14:4 future (1) 23:24 G Galloway (6) 9:2,6,11,19,20 27:12 Garvin (3) 3:14 7:1 8:15 gas (5) 12:13,14,19 17:1 22:15 gasoline (1) 13:23 gathered (1) 3:23 generate (1) 4:4 generated (2) 4:15 6:8 getting (1) 16:11 Give (2) 9:7 10:3 **GM** (13) 3:10 4:14 9:21 10:2, 15,16,19 13:6 14:7 16:1 19:7 23:24 24:19 going (19) 9:1,8,15,15 10:21, 22 11:3,19 12:22

Docket 2020-R-WH-0008 April 9, 2020

13:10 14:21,22,24	
16:20 20:1 24:7 25:10,	
11,16	
good (1)	
21:22	
ground (5)	
11:18,18 12:15	
21:11,14	
groundwater (25)	
11:7,20 12:2,3,18	
13:1 14:11,12,23 15:2,	
20 16:6,24 18:22 20:9	
23:17,23 24:3,5,9,23,	
24 25:12,21 26:8	
	-

# Η

handle (1) 25:18 handling (1) 24:3 handy (1) 19:16 happened (1) 14:10 Hazardous (1) 16:16 heading (1) 20:9 hearing (25) 3:9,15,21 4:5,11,19, 22 5:3,9,18,23 6:3,6,8, 17,21,23 7:7,15,22 8:17 27:1,11,15,22 hearings (2) 5:17 7:5 heating (1) 13:24 Hello (1) 9:19

help (1)	includes (1)	issued (1)	23:14
6:17	8:19	14:3	Limitations (1)
hereby (2)	including (4)	itself (2)	24:23
27:15 28:4	15:4 17:8 18:15	21:12 24:19	limited (1)
history (2)	23:8		6:4
13:11,18	inclusion (1)	J	line (6)
hole (1)	5:5		10:14,16 11:5,9,19
15:14	incorporated (1)	job (1)	18:19
house (1)	6:7	21:22	lines (2)
19:12	independently (1)	join (1)	12:4 18:16
housekeeping (1)	3:24	3:2	link (1)
27:9	indicated (2)	joined (1)	5:23
however (6)	8:2 16:5	4:7	liquid (1)
5:4 15:24 16:8 18:9	indoor (16)	judged (3)	15:11
22:23 23:15	12:10,19 17:2,8,10,	22:5 23:15,20	Lisa (4)
hundred (3)	14,16,18,18,22 18:4,	June (1)	3:13 9:12 26:13,20
15:19 16:4 23:19	23 19:11,18 22:14,21	21:6	list (4)
hydrocarbons (1)	industrial (1)	K	4:4 9:17 13:12
21:13	24:22	N	19:13
	information (3)	keep (1)	little (3)
Ι	9:14 11:21 26:11	26:7	11:4 19:5 22:3
	initial (1)	kind (1)	located (4)
identifies (1)	14:14	11:20	3:10 10:8,23 11:12
24:9	inside (1)	11.20	location (1)
image (1)	18:19	L	10:1
11:15	intensive (1)		locations (2)
imagine (1)	14:19	land (1)	4:1 12:13
21:21	interest (1)	14:1	logged (1)
impacting (1)	4:9	Lastly (2)	5:16
23:18	interim (2)	7:9 8:8	long (1)
implementing (1)	20:1,6	leaked (1)	8:12
24:1	Intrusion (8)	12:1	longer (1)
important (4)	16:20,21 17:5 18:8,	leisure (1)	24:14
7:9 8:8 16:22 24:6	14 19:4 23:4,16	27:2	long-term (3)
inches (1)	investigation (2)	letter (1)	24:4 25:6,7
21:17	14:8,22	13:15	look (1)
include (1)	investigations (4)	level (3)	19:17
25:18	13:16 14:15,20 20:5	11:7,8,10	looking (3)
included (1)	issue (1)	likely (1)	18:15,17,19
22:13	7:2	- , \-/	lot (4)
	1.2		

General Motors - Onit 4			April 9, 202
11:15,21 12:23	maybe (1)	19:24	16:7
21:22	22:18	mile (1)	necessitated (1)
lower (1)	mean (2)	16:1	3:18
11:10	16:15 26:5	minimum (1)	need (2)
	meant (1)	5:8	10:11 16:23
Μ	11:20	minus (1)	new (1)
	measure (1)	16:11	13:14
made (3)	20:13	minute (1)	next (1)
3:17 7:10,12	mechanisms (3)	18:12	12:1
mail (1)	5:20 8:11,18	monitor (1)	non-aqueous (1)
8:10	media (1)	24:5	15:10
maintain (1)	8:5	monitoring (6)	non-cancer (1)
4:6	meeting (2)	12:19 17:11 20:22	16:12
maintenance (1)	3:17 28:4	24:8 25:11 26:7	non-residential (2)
20:22	members (1)	more (8)	24:1,20
najority (1)	7:16	5:11,19 14:19	nor (2)
17:13	mentioned (5)	21:23,24,24,24 22:3	7:7,11
nake (2)	15:1,17 19:20	most (2)	North (1)
25:12 26:8	20:20 25:8	23:14,14	10:13
making (4)	mentioning (1)	Motor (2)	northeast (2)
4:12 8:15 25:16,19	26:13	10:20 13:21	14:16 15:20
nanagement (4)	merely (1)	much (5)	note (7)
14:3 24:2 25:4,16	8:17	9:12 21:10 22:4,6	5:1 7:9 8:8 10:12
manufacturing (1)	messaging (1)	26:21	11:1 13:3 24:6
24:22	8:7	multiple (1)	notice (1)
many (1)	meter (1)	18:16	5:7
8:18	23:2	must (2)	November (1)
map (1)	micrograms (1)	6:4 26:4	14:5
10:10	23:1	0.4 20.4	number (2)
March (2)	might (1)	Ν	10:5 12:24
20:21 21:6	18:18		10.5 12.24
Material (2)	migrate (2)	name (2)	0
24:2 25:15	25:19,20	3:13 9:19	
Materials (1)	migrated (1)	naphthalene (1)	<b>OA</b> (1)
25:4	15:19	15:9	12:20
natter (8)	15:19 migrates (1)	NAPL (3)	observed (1)
4:9,23 6:5,7 7:3		15:11,15 21:16	21:18
8:16 9:4 27:16	18:23	Natural (1)	<b>Obviously</b> (1)
may (4)	migrating (3)	3:7	11:17
3:12 7:16,19 8:4	17:1 18:9 23:12	naturally (1)	occurring (1)
,	migration (1)	• • • •	

General Wotors - Onit 4			Арги У,
17:6	operation (1)	paired (1)	Plant (2)
off (10)	20:23	17:15	9:21 10:2
10:19 12:3 13:14	opportunity (1)	pandemic (1)	platform (2)
14:2 15:23 21:8,21	7:17	3:20	3:6 8:5
22:2 24:11 25:20	orange (1)	participating (1)	Please (2)
offer (5)	12:4	3:24	5:1 9:16
5:5,22 6:10 7:17	order (3)	passive (1)	pm (1)
27:5	6:9 7:2 16:23	23:10	28:5
officer (2)	Organic (1)	pathway (5)	Point (3)
3:15 9:20	15:3	16:22 17:4 18:4	4:13 11:23 26:23
Officer's (1)	other (1)	22:17 23:6	points (1)
6:23	20:15	people (5)	10:11
official (1)	<b>OU-1</b> (1)	10:3,11 19:17	pollution (1)
6:15	10:6	24:10 26:15	19:18
offsite (4)	OU-4 (5)	per (1)	portion (1)
15:20 23:5,19 25:22	3:10 4:14 9:23	23:1	27:21
off-site (5)	14:18 22:12	performed (1)	posing (1)
13:4,7,7 22:14	<b>OU-6</b> (1)	18:15	25:21
25:13	10:6	period (3)	possible (2)
oil (5)	out (10)	16:4 25:10 26:14	21:10 22:7
13:24,24 14:1	3:2 5:16 21:1,3,9,	periodically (1)	Postal (2)
15:12,15	10,23,24 22:3 27:2	21:7	6:1 8:1
one (9)	outdoor (4)	permitted (2)	posted (6)
6:13 8:18 9:7 16:10,	12:20 18:5 19:8	7:6 24:21	4:22 27:1,10,14,19
11,13 17:12 20:8 27:8	22:15	person (1)	28:2
ongoing (1)	outside (2)	16:11	potential (2)
3:19	17:24 21:4	pertinent (1)	19:23 24:10
only (2)	over (7)	6:6	pounds (1)
6:13 22:21	4:11 9:2,9 15:18	petroleum (2)	21:13
on-site (5)	21:20,23 26:20	19:10 21:14	Power (2)
13:4,6 16:9 23:23	overhead (1)	phase (1)	4:13 26:23
24:10	10:9	15:10	prepared (1)
open (4)	D	physical (2)	4:21
5:8 6:11 7:14 27:3	Р	4:3 8:1	present (4)
opened (1)		place (3)	4:5,18 16:8 23:16
21:9	page (9)	6:3 24:7 25:12	presentation (3)
<b>Operable</b> (4)	5:17,23 7:22 10:13,	plan (15)	4:13 26:12,19
9:21 10:5,7 22:12	18 19:19,22 27:1,15	3:9 4:14 7:13 8:20	presented (1)
operated (1)	paint (1)	9:14 20:2,3 24:2,12	26:24
21:5	19:13	25:4,6,7,9,16 26:7	presenting (1)

			r ,
25:13	21	5:13 6:4 7:20 8:9,12	25:9,23
pretty (2)	pull (2)	receives (1)	remedy (7)
15:22 21:15	21:1,2	4:24	20:19,19 22:12
prevent (1)	pulling (1)	receptors (2)	23:14,20,22 26:4
23:11	21:22	25:14,22	removal (1)
previously (2)	pulsed (1)	recognize (1)	23:15
5:21 14:13	21:8	3:13	removed (2)
prior (1)	pulsing (1)	record (15)	13:20 21:12
8:15	22:1	4:7 5:6,8 6:8,11,13,	report (3)
probably (1)	purple (1)	17,20 7:14 8:19 9:17	6:23 22:10 25:24
16:5	11:2	27:3,14,16,21	reporter (1)
Proceed (1)	purpose (1)	recovered (1)	4:17
9:18	6:16	22:6	reporter's (2)
proceeding (1)	put (1)	recovery (1)	6:15 27:18
6:14	20:12	21:20	request (1)
proceedings (1)		red (1)	5:12
3:15	Q	11:5	required (1)
process (1)		redevelopment (1)	23:21
20:10	questions (1)	24:4	requirement (1)
product (2)	26:16	refer (2)	4:20
21:20 22:6	quite (1)	9:22 16:16	resampling (2)
project (1)	15:7	reference (2)	22:14,20
9:20	R	10:3 19:16	residential (1)
property (10)		referring (1)	16:9
10:1,16,19 13:6,8	RACER (1)	13:5	residents (1)
19:7 23:24 24:17,18,	14:7	reflect (1)	23:5
19	range (1)	27:14	Resources (1)
proposed (9)	23:1	regard (4)	3:7
3:9 4:14 6:18 7:13	read (1)	6:18 7:12 9:3 27:21	respective (1)
8:20 20:2,3 24:12 26:7	12:23	regarding (1)	4:1
protect (1)	real (1)	4:13	restricted (1)
24:2	16:21	regulations (1)	24:20
protective (1)	really (3)	14:5	restricting (1)
20:12	13:18 17:5 21:22	remain (7)	23:23
protocols (2)	realtime (2)	5:8,22 6:3,11 7:14	restriction (1)
3:18 6:2	5:3 7:7	24:7 27:3	24:16
provide (1)	reasons (1)	remarks (1)	restricts (1)
3:6	7:3	4:11	24:16
public (5)	received (5)	remedial (6)	result (2)
5:17,21 7:16 8:21,		3:9 4:14 14:8 23:8	18:7 23:3

Results (1)	screening (1)	13	sort (2)
17:11	11:10	showed (2)	16:14 20:6
review (2)	second (1)	13:22 22:20	source (2)
7:2 27:6	9:8	showing (1)	18:5,6
reviewed (1)	Secretary (4)	11:15	sources (2)
6:24	3:14 6:24 7:1 8:15	shut (2)	19:11,17
<b>RI</b> (1)	Secretary's (2)	22:2,19	Staff (2)
14:15	7:18 27:6	side (3)	3:22 4:12
<b>Rick</b> (6)	section (2)	10:15,18 11:16	stalled (1)
9:2,4,20 26:22,23	5:18 14:3	sign-in (1)	21:20
27:8	seeing (1)	4:2	standard (2)
right (5)	18:19	similar (1)	3:17 11:11
10:14,18 11:13,14	select (1)	15:23	standards (4)
19:5	20:19	site (20)	15:19 16:17,18 23:4
risk (14)	selected (1)	10:4,10 12:3 13:17,	start (1)
16:8,10,12,17,17,	23:22	18 14:2,9 15:11,23	13:14
23 18:7,14,18 19:3	semi-volatile (1)	16:16 17:7 21:19	started (3)
23:3 24:10 25:13,22	15:7	23:22,24 24:11,13	9:15 20:21 21:21
Road (1)	separation (2)	25:1,17,21 26:2	State (2)
10:3	18:20,22	situations (1)	3:6,19
room (1)	seriously (1)	18:3	statutory (2)
3:23	20:16	skipped (1)	4:20 6:16
	Service (2)	19:21	stewardship (3)
S	6:1 8:1	slab (3)	24:5 25:6,7
	session (1)	12:8,9 17:2	still (4)
P (1)			Senn (1)
	7:6	small (1)	4:6,17 19:3 23:13
26:9	7:6 several (1)	<b>small (1)</b> 11:2	
26:9 safely (2)			4:6,17 19:3 23:13
26:9 safely (2) 20:14 25:18	several (1)	11:2	4:6,17 19:3 23:13 stops (1)
26:9 safely (2) 20:14 25:18	<b>several (1)</b> 23:19	11:2 social (1)	4:6,17 19:3 23:13 <b>stops (1)</b> 26:6
26:9 safely (2) 20:14 25:18	several (1) 23:19 SGs (1)	11:2 social (1) 8:5	4:6,17 19:3 23:13 stops (1) 26:6 storage (3)
26:9 safely (2) 20:14 25:18 said (3) 9:1 26:23 27:20	several (1) 23:19 SGs (1) 12:13	11:2 social (1) 8:5 soil (18)	4:6,17 19:3 23:13 stops (1) 26:6 storage (3) 11:24 13:19 14:18
26:9 safely (2) 20:14 25:18 said (3) 9:1 26:23 27:20	several (1) 23:19 SGs (1) 12:13 shall (1)	11:2 <b>social (1)</b> 8:5 <b>soil (18)</b> 11:2 12:2,7,13,14,	4:6,17 19:3 23:13 stops (1) 26:6 storage (3) 11:24 13:19 14:18 study (2)
26:9 safely (2) 20:14 25:18 said (3) 9:1 26:23 27:20 same (5)	several (1) 23:19 SGs (1) 12:13 shall (1) 6:11	11:2 <b>social (1)</b> 8:5 <b>soil (18)</b> 11:2 12:2,7,13,14, 17,19 13:1 14:1 16:6,	4:6,17 19:3 23:13 stops (1) 26:6 storage (3) 11:24 13:19 14:18 study (2) 20:19 22:13
26:9 safely (2) 20:14 25:18 said (3) 9:1 26:23 27:20 same (5) 3:23 4:21 8:13 17:24 18:1	several (1) 23:19 SGs (1) 12:13 shall (1) 6:11 sheets (1)	11:2 <b>social (1)</b> 8:5 <b>soil (18)</b> 11:2 12:2,7,13,14, 17,19 13:1 14:1 16:6, 24 18:24 20:20 22:9,	4:6,17 19:3 23:13 stops (1) 26:6 storage (3) 11:24 13:19 14:18 study (2) 20:19 22:13 subject (1)
26:9 safely (2) 20:14 25:18 said (3) 9:1 26:23 27:20 same (5) 3:23 4:21 8:13 17:24 18:1	several (1) 23:19 SGs (1) 12:13 shall (1) 6:11 sheets (1) 4:2	11:2 <b>social (1)</b> 8:5 <b>soil (18)</b> 11:2 12:2,7,13,14, 17,19 13:1 14:1 16:6, 24 18:24 20:20 22:9, 15 24:3 25:18,19	4:6,17 19:3 23:13 stops (1) 26:6 storage (3) 11:24 13:19 14:18 study (2) 20:19 22:13 subject (1) 6:5
26:9 safely (2) 20:14 25:18 said (3) 9:1 26:23 27:20 same (5) 3:23 4:21 8:13 17:24 18:1 samples (2) 11:22 13:1	several (1) 23:19 SGs (1) 12:13 shall (1) 6:11 sheets (1) 4:2 shock (1)	11:2 social (1) 8:5 soil (18) 11:2 12:2,7,13,14, 17,19 13:1 14:1 16:6, 24 18:24 20:20 22:9, 15 24:3 25:18,19 something (1)	4:6,17 19:3 23:13 stops (1) 26:6 storage (3) 11:24 13:19 14:18 study (2) 20:19 22:13 subject (1) 6:5 submit (1)
26:9 safely (2) 20:14 25:18 said (3) 9:1 26:23 27:20 same (5) 3:23 4:21 8:13 17:24 18:1 samples (2) 11:22 13:1	several (1) 23:19 SGs (1) 12:13 shall (1) 6:11 sheets (1) 4:2 shock (1) 22:2	11:2 social (1) 8:5 soil (18) 11:2 12:2,7,13,14, 17,19 13:1 14:1 16:6, 24 18:24 20:20 22:9, 15 24:3 25:18,19 something (1) 22:18	4:6,17 19:3 23:13 stops (1) 26:6 storage (3) 11:24 13:19 14:18 study (2) 20:19 22:13 subject (1) 6:5 submit (1) 26:15
safely (2) 20:14 25:18 said (3) 9:1 26:23 27:20 same (5) 3:23 4:21 8:13 17:24 18:1 samples (2) 11:22 13:1 sampling (2)	several (1) 23:19 SGs (1) 12:13 shall (1) 6:11 sheets (1) 4:2 shock (1) 22:2 shot (1)	11:2 social (1) 8:5 soil (18) 11:2 12:2,7,13,14, 17,19 13:1 14:1 16:6, 24 18:24 20:20 22:9, 15 24:3 25:18,19 something (1) 22:18 soon (3)	4:6,17 19:3 23:13 stops (1) 26:6 storage (3) 11:24 13:19 14:18 study (2) 20:19 22:13 subject (1) 6:5 submit (1) 26:15 submitted (3)

Docket 2020-R-WH-0008 April 9, 2020

General Motors - Unit 4			April 9, 2020
20:12 22:14,24	8:7	7:11,12,15 8:17 11:4,	4:11
suffice (1)	their (7)	11 27:22	tweak (1)
12:24	4:1,9 5:5 8:23	tonight's (2)	21:9
summarizes (1)	26:15 27:2,6	3:15 6:6	Twitter (1)
26:1	there (31)	top (3)	8:6
supplemental (1)	3:16 4:2,17,18 5:22,	10:13 15:12,16	two (1)
18:14	23,24 6:13 7:7 9:5	touch (1)	22:21
sure (4)	12:12,24 14:10 15:24	18:11	
25:12,17,19 26:8	16:7 18:4,5,7,13 19:2,	toward (1)	U
<b>SVE</b> (11)	14,19,20 20:1,6,13,18	18:10	
11:2 12:16 20:23,	22:16,17,18 23:3	townhouse (1)	ultimately (1)
24 21:5 22:5,8 23:9,	Therefore (2)	17:12	7:1
13,15 24:7	5:7 7:4	townhouses (10)	under (3)
switching (1)	thermal (1)	11:12 13:8,9 18:8,	5:17 12:6 14:4
9:9	23:10	10 19:3 20:8,15 22:22	underground (2)
system (14)	they (23)	23:17	11:24 13:19
11:3 12:16 20:23,	8:22 12:5,7,10	transcript (5)	underneath (2)
24 21:1,5,12 22:2,6,8,	15:23 17:16,17,18,19	4:19,22 6:15,21	12:8 17:2
10,19 23:9 24:7	18:19 19:9 20:10,13,	27:18	Unit (3)
	22 21:1,2,15,18 22:1,	travel (2)	9:22 10:7 22:12
Т	3,3,17 27:10	12:6,7	units (2)
	thing (1)	traveled (1)	10:5 20:10
taking (1)	27:8	12:3	until (1)
3:1	things (4)	traveling (1)	5:7
talk (7)	11:16 17:8 19:2,12	14:16	up (8)
11:3,11 14:21,22,	think (1)	treat (1)	9:14 12:6,8,11
24 16:17,21	10:11	21:3	18:19,24 19:11 22:11
talked (3)	throughout (1)	treated (1)	use (4)
12:17 19:5,8	9:22	21:4	23:23,24 24:17,20
talking (5)	Thursday (1)	treatment (2)	used (2)
10:1,6,21 16:18	3:4	23:10,10	19:12 25:1
18:16	timeline (1)	trimethylbenzene (1)	users (1)
tank (2)	13:11	17:9	16:9
14:3,4	times (1)	try (3)	using (1)
tanks (4)	16:10	21:9 22:2,16	8:5
10:22 11:24 13:19	together (1)	turn (2)	UST (1)
14:18	3:23	9:2 26:19	11:23
ten (1)	tonight (18)	turned (1)	USTs (3)
16:10	3:3 4:3,8,16,19	21:8	10:23 13:20,23
text (1)	5:10,16 6:3,14,17,21	turning (1)	

<b>.</b>	15:3,8	without (1)	2012 (1)
V	***	25:1	14:6
(4)	W	work (1)	2015 (2)
vacuum (1)		13:15	20:21 21:6
21:1	wall (1)	workers (3)	2018 (1)
vapor (12)	23:11	24:2,10 25:17	21:6
11:3 12:17 16:20,	waste (1)	written (4)	2019 (1)
21 17:5 18:8,14 19:3	13:24	6:22 7:19 8:4 25:1	22:9
20:20 22:9 23:4,16	water (7)		2020 (4)
vapors (7)	11:8 15:12,16,18	X	3:5 6:12 7:21 27:4
12:5 14:24 18:9	16:1 21:16 23:18		 24 (3)
19:24 20:13 21:1,2	way (1)	xylene (1)	6:12 7:21 27:4
various (1)	13:16	15:6	24th (2)
8:22	ways (2)	<b>X</b> 7	8:13 26:15
vented (2)	8:22 18:17	Y	0.13 20.13
20:14 21:4	web (3)		3
venting (1)	5:16 27:1,15	YouTube (1)	
20:12	WebEx (1)	8:6	30 (1)
verbatim (1)	4:4	1	21:6
4:18	website (6)	1	
version (1)	4:23 5:19 8:3 26:17	1 (1)	4
24:14	27:11 28:1	16:1	
vertical (1)	weekly (1)		4 (4)
18:20	20:22	1,2,4 (1)	9:22 10:7 21:17
<b>VEST (6)</b>	weight (1)	17:9	23:1
3:1,13 9:7,18 26:21	8:13	1,2,4-TMB (1)	44 (1)
27:13	wells (6)	15:5	20:10
vet (1)	12:19 16:1 21:2,8,	1,2,4-trimethylbenzene (1)	46 (1)
8:20	18 23:18	15:4	20:10
via (2)	west (1)	100,000 (1)	
7:23,24	14:14	16:12	5
view (2)	Wilmington (2)	12 (1)	
11:16 26:12	3:10 9:21	13:19	5 (1)
		15 (3)	22:9
virtual (2)	wishes (2)	5:9 7:14 21:6	6
3:6 27:22	5:3 27:5	1990 (3)	U
virtually (4)	withdrawal (1)	13:15,19 14:5	
3:22 4:5,18 27:23	24:24	•	
VOCs (1)	within (4)	2	28:5
22:16	16:1 23:19 24:21		— <b>60</b> (1)
Volatile (2)	25:8		

25:9	
8	
8,000 (1)	
21:13	
9	
9 (1)	
3:4	